

UNITED STATES DEPARTMENT OF ENERGY

ELECTRICITY ADVISORY COMMITTEE MEETING

Arlington, Virginia

Wednesday, March 29, 2017

## 1 PARTICIPANTS:

2 JOHN ADAMS  
Electric Reliability Council of Texas

3 SHARON ALLAN  
4 SGIP

5 WILLIAM BALL  
Southern Company

6 CARLOS BATLLE  
7 Head of the Regulation and Systems Analysis  
Group

8 RAKESH BATRA  
9 U.S. Department of Energy

10 JEREMY BEDINE  
GridLion

11 ANJAN BOSE  
12 Washington State University

13 JOSEPH BRANNAN  
North Carolina Electric Membership Cooperation

14 ALEX BRECKEL  
15 U.S. Department of Energy

16 LANEY BROWN  
Modern Grid Partners

17 MERWIN BROWN  
18 California Institute for Energy & Environment

19 MIKE BRYSON  
PJM Interconnection

20 CAITLIN CALLAGHAN  
21 U.S. Department of Energy

22

## 1 PARTICIPANTS (CONT'D):

2 PAUL CARMODY  
Maryland Office of People's Counsel

3 JAY CASPARY  
4 SPP

5 PAUL CENTOLELLA  
Paul Centolella & Associates, LLC

6 VINTON CERF  
7 Google

8 CARLOS COE  
Millennium Energy

9 LELAND COGLIANI  
10 Lewis-Burke Associates

11 TODD CUNNINGHAM  
NRECA

12 PHYLLIS CURRIE  
13 Pasadena Water & Power, Retired

14 PATRICIA DAVID  
Hoffman DOE

15 DARIUS DIXON  
16 Politico

17 TOM EWING  
Charged EV

18 GORDON FELLER  
19 CISCO

20 CLARK GELLINGS  
Independent

21 IMRE GYUK  
22 U.S. Department of Energy

## 1 PARTICIPANTS (CONT'D):

2 MARYANNE HATCH  
3 EEI4 DEBBIE HAUGHT  
5 DOE/OE6 SAM HILE  
7 ICF8 HONORABLE PATRICIA HOFFMAN  
9 U.S. Department of Energy10 PATRICK HUGHES  
11 National Electrical Manufacturers Association12 KATIE JEREZA  
13 EEI14 JOYCE KIM  
15 U.S. Department of Energy16 RIYOUNG KO  
17 Fletcher Shultz18 LORENZO KRISTOV  
19 California ISO20 ROD KUCKRO  
21 E&E News22 JIM LAZAR  
Regulatory Assistance ProjectJANICE LIN  
Strategen ConsultingKEVIN LYNN  
U.S. Department of Energy

22

## 1 PARTICIPANTS (CONT'D):

2 LARRY MANSUETI  
U.S. Department of Energy

3 BRIAN MARCHIONINI  
4 NEMA

5 MARINA MATESKI  
Mitsubishi Electric

6 DAVID MEYER  
7 U.S. Department of Energy

8 M. GRANGER MORGAN  
Carnegie Mellon University

9 JEFF MORRIS  
10 Washington State House of Representatives

11 PARAG NATHANEY  
ICF

12 ELLIOTT NETHERCUTT  
13 U.S. Department of Energy

14 ROLF NORDSTROM  
Great Plains Institute

15 JOE PALADINO  
16 U.S. Department of Energy

17 ARNIE QUINN  
FERC

18 WOODY RICKERSON  
19 Electric Reliability Council of Texas

20 PAUL ROBERTI  
Ernst & Young

21 MATT ROSENBAUM  
22 U.S. Department of Energy

## 1 PARTICIPANTS (CONT'D):

2 HEATHER SANDERS  
Southern California Edison

3  
4 DIANE SCHUMAKER  
SPI

5 CHRIS SHELTON  
AEC Energy Storage, LLC

6  
7 PAM SILBERSTEIN  
National Rural Electric Cooperative Association

8 RAMTEEN SIOSHANSI  
Ohio State University

9  
10 JULIE SMITH  
U.S. Department of Energy

11 BENJAMIN STAFFORD  
Advanced Energy Economy

12  
13 TRACEY STEINER  
NRECA

14 SUE TIERNEY  
Analysis Group

15  
16 FRANS VREESWIJK  
International Electrotechnical Commission

17 TRACY WARREN  
NRECA

18  
19 CINDY WILSON  
U.S. Department of Energy

20 CARL ZICHELLA  
Natural Resource Defense Council

21

22 \* \* \* \* \*

## 1 P R O C E E D I N G S

2 (1:03 p.m.)

3 CHAIR TIERNEY: Welcome to the meeting  
4 of the Electricity Advisory Committee of the  
5 Department of Energy. We have a great agenda.  
6 So, I hope everybody's excited about participating  
7 in this meeting as much as you can, for those of  
8 you who are doing dueling meetings in Washington  
9 during this period. Because I know some of you  
10 are. I'm Sue Tierney from Analysis Group, and  
11 have the pleasure of serving as Chair of the EAC.  
12 And what I'd like to do just to begin, is ask  
13 everyone to introduce themselves. But before we  
14 do that, we do have one new member here for his  
15 first meeting. Rolf Nordstrom is here from the  
16 Great Plains Institute. And your fame precedes  
17 you, of course. And we all know you and love you  
18 and we're glad you're here as a member of the  
19 group. It's great. Carl, you want to start?

20 MR. ZICHELLA: Excuse me. I'm Carl  
21 Zichella with the Natural Resources Defense  
22 Counsel. Vice Chair.

1                   MR. CENTOLELLA: I'm Paul Centolella.  
2                   I'm President of Paul Centolella and Associates  
3                   and a Senior Consultant with Tabors, Caramanis and  
4                   Rudkevich. And Chair the Smart Grid Subcommittee.

5                   MR. BROWN: I'm Merwin Brown with the  
6                   California Institute for Energy and Environment,  
7                   which is housed at the University of California,  
8                   Berkeley. And I'm Chair of the Energy Storage  
9                   Subcommittee.

10                  MR. ADAMS: John Adams, Principal  
11                  Engineer with the Electrical Reliability Counsel  
12                  of Texas. And I somehow ended up Chair of the  
13                  Power Delivery Subcommittee.

14                  MS. LIN: Janice Lin. I'm the  
15                  Co-Founder and CEO of Strategen Consulting. The  
16                  Co-Founder and Executive Director of the  
17                  California Energy Storage Alliance. And the  
18                  Co-Founder of the Global Energy Storage Alliance.  
19                  And I serve on the Energy Storage Subcommittee.

20                  CHAIR TIERNEY: Soon to be the  
21                  Intergalactic Storage Committee. (Laughter)

22                  MS. LIN: There's always space.



1                   MR. NORDSTROM: So I feel honored to  
2                   have already been introduced by Sue. And I'm  
3                   neither the founder of anything nor the chair of  
4                   anything. But I am the CEO of the Great Plains  
5                   Institute, which is based in Minneapolis. And  
6                   really honored to be among you all. Thanks.

7                   MS. SILBERSTEIN: Hi. I'm Pam  
8                   Silberstein from NRECA. The National Rural  
9                   Electric Cooperative Association, where you are  
10                  all meeting. We're pleased to welcome you. And I  
11                  serve on the Power Delivery Subcommittee with  
12                  John.

13                 MR. CASPARY: Hi. I'm Jay Caspary. I'm  
14                  a Director in our Engineering Group at the  
15                  Southwest Power Pool in Little Rock.

16                 MS. CURRIE: I'm Phyllis Currie. I'm  
17                  the retired General Manager of Pasadena Water and  
18                  Power in California.

19                 MR. GELLINGS: Hi. I'm Clark Gellings.  
20                  I'm an independent.

21                 CHAIR TIERNEY: That's an adjective.  
22                  What's a noun?

1 (Laughter)

2 MR. GELLINGS: Individual.

3 MS. SANDERS: (inaudible) Heather  
4 Sanders. Southern California Edison.

5 MR. ROBERTI: Hi. I'm Paul Roberti.  
6 I'm an Executive Director with Ernst and Young.

7 MR. FELLER: Good afternoon. Gordon  
8 Feller at CISCO Headquarters in Silicon Valley.  
9 And I also serve as Founder and Member of the  
10 Board of Meeting of the Minds, a non-profit  
11 organization.

12 MR. MORGAN: I'm Granger Morgan from  
13 Carnegie Mellon University. I have appointments  
14 in the Department of Engineering and Public  
15 Policy. And in Electric Wind Computer  
16 Engineering.

17 MR. LAZAR: Jim Lazar from Regulatory  
18 Assistance Project. And I've collected two brand  
19 new knees. One on the left, one the right, since  
20 I saw you last. (Laughter)

21 MR. BALL: Billy Ball. Chief  
22 Transmission Officer at the Southern Company.

1                   MR. BOSE: I'm Anjan Bose from  
2                   Washington State University. I'm a Professor in  
3                   Electrical Engineering and Computer Science.

4                   MR. SIOSHANSI: Ramteen Sioshansi from  
5                   Ohio State University.

6                   MR. MORRIS: Representative Jeff Morris  
7                   from the Washington State House of  
8                   Representatives. And that's my night job.

9                   (Laughter)

10                  MS. CARMODY: Paula Carmody. People's  
11                  Counsel with the Maryland Office of People's  
12                  Counsel. We represent residential utility  
13                  customers in the state. And I'm on the Smart Grid  
14                  Subcommittee.

15                  MS. BROWN: Laney Brown. Vice President  
16                  of Modern Grid Partners. I'm on the Smart Grid  
17                  Committee and Storage as well.

18                  MR. ROSENBAUM: Hi. I'm Matt Rosenbaum.  
19                  I'm the designated Federal Official for the EAC.  
20                  And obviously part of the Department of Energy.

21                  MR. MEYER: David Meyer. I'm a Senior  
22                  Advisor in the Office of Electricity at DOE.

1 MS. HOFFMAN: And I'm Pat Hoffman. I'm  
2 the Principal Deputy Assistant Secretary for the  
3 Office of Electricity. But I have several acting  
4 titles and we can go through that

5 (Laughter).

6 CHAIR TIERNEY: And we'll hear more  
7 about those titles and other things that Pat's  
8 involved in in just a minute. I just wanted to  
9 start by reminding everybody that this is a public  
10 meeting. And the remarks of the entire meeting  
11 will be transcribed. So, please be sure to use  
12 your microphone when you'd like to speak. We have  
13 two really interesting panels set up for today.  
14 One on the Internet of Things. And the other on  
15 Issues at the Intersection of the Distribution and  
16 Transmission Grid. Lots of interesting things  
17 going on in the latter for sure. And then  
18 tomorrow, we have a number of presentations, and  
19 we will be hearing from acting Chair of the FERC,  
20 Cheryl LaFleur. And we have a presentation on the  
21 new study that's been issued by the -- by MIT, on  
22 the Grid of the Future. But to begin today, we

1       are going to hear some thoughts that Pat has about  
2       how things are going on in her office, as well as  
3       the Department of Energy. And without further  
4       ado, you're up.

5               MS. HOFFMAN: So, first of all, I'd like  
6       to thank NRECA for hosting us today and the  
7       facilities. I really appreciate all that you do  
8       for the Grid Space. But also, for the Advisory  
9       Committee and the advice that you give as the  
10      Advisory Committee. I'd like to thank Sue and  
11      Carl for acting as Chair and Vice Chair. I always  
12      support -- appreciate your support and dedication  
13      in the Electric Grid Space. So, just a little  
14      bit. So everybody understands, I do have multiple  
15      hats right now, trying to do the best I can. I am  
16      on the -- my position of record is Principal  
17      Deputy Assistant Secretary for the Office of  
18      Electricity, Delivery and Energy Reliability. I'm  
19      also acting as the Assistant Secretary for that  
20      organization. I'm also acting as the  
21      Undersecretary for Science and Energy. And so,  
22      hoping to keep all the activities and the

1       discussions going within the Office of Science and  
2       Energy. I also am responsible for any sort of  
3       emergency incidents at the Department. And the  
4       coordination of those activities on behalf of what  
5       was done under the S2, which is the Deputy  
6       Secretary at the time, until one gets nominated  
7       and the Department's able to really move forward  
8       from that perspective.

9               MR. ADAMS: And Pat, you sleep when?

10                       (Laughter)

11               MS. HOFFMAN: I do -- I do manage to  
12       catch a little bit of sleep. (Laughter). But,  
13       needless to say, a lot of things are going on.  
14       Definitely spending most of the time getting the  
15       new politicals in the building up to speed. I did  
16       want to say that we did have, of course, everybody  
17       knows the confirmation of Secretary Perry as the  
18       14th Secretary for the Department of Energy. Most  
19       of you are aware before he joined the  
20       Administration, he served as the 47th Governor of  
21       Texas. And he championed economic development in  
22       Texas. Really trying to drive innovation, job

1 creation and economic development. Secretary  
2 Perry's leadership in Texas also scans and has  
3 proven out that, you can have both economic growth  
4 as well as protection of the environment in some  
5 of the -- what he's been able to demonstrate in  
6 Texas. So, I've had a couple of very good  
7 conversations with the Secretary. And very  
8 productive. And I think just thoughtful and  
9 strategic in moving forward and what he wants to  
10 look at in the Department. So, it hasn't changed.  
11 Our mission right now is still the same as the  
12 responsibility for addressing the electricity  
13 reliability issues in the United States. Looking  
14 at right now, what we'll be shifting is really  
15 going to looking at earlier stage research. And  
16 focusing our activities on cyber-security and  
17 resilience type activities within the office.  
18 But, before we probably get into some of those  
19 conversations, as we will, as part of -- part of  
20 the discussions at the EAC, I did want to just  
21 remind everybody of some of the Executive Orders  
22 that have been signed. And some of the Executive

1 Orders that we are looking at as we continue to  
2 reflect on our work and how to do our work better.  
3 The first Executive Order that you guys might be  
4 aware of is enforcing regulatory reform. I think  
5 that's something that is -- that the Electricity  
6 Advisory Committee could provide great value into  
7 the Department, of looking at whether it's  
8 statutory regulatory. Or other opportunities for  
9 streamlining. Eliminating overlap. But trying to  
10 find a way to better coordinate with respect to  
11 some of the objectives that we want to achieve in  
12 (inaudible). So each agency has to develop a  
13 Regulatory Reform Officer. And we are really  
14 going after looking at outdated regulations.  
15 Unnecessary and ineffective regulations that could  
16 impose additional cost. But, by doing some of  
17 that, we can actually have some significant  
18 benefit.

19 There is another Executive Order,  
20 looking at reorganizing the Executive Branch.  
21 That's a review of all the federal agencies. So,  
22 just heads up on that, that we're looking for



1 efficiency across the federal government as well.  
2 Then just yesterday, there was the Executive Order  
3 to review the Clean Power Plan. And some other --  
4 other rescinding of regulations that were in that  
5 Executive Order. So take a look at that. But  
6 that also will kind of drive what some of the  
7 Department's activities and where the  
8 Administration objectives are moving forward from  
9 that perspective. So I did want to give you a  
10 heads up on a couple of those things. Like I  
11 said, we're going through a lot of review  
12 currently at the Department on all the programs  
13 and activities. A very thoughtful review. And  
14 I'm sure, more discussions will occur as a result  
15 of that. And I'm going to leave it there. Okay.

16 CHAIR TIERNEY: Thank you. That's a  
17 great update on what's going on. And I imagine  
18 that you have to stop, because you need to go get  
19 some rest. (Laughter) So that's great. I think it  
20 is now the time for beginning the panel. Unless,  
21 I'm -- I'm just going to do a check here. Many of  
22 you have just come from Subcommittee meetings and

1       have been working on various things in the  
2       morning. Is it all right if we proceed without a  
3       break? You better start shaking your heads if  
4       you're really desperate and you really need a  
5       break. We're okay? Okay. Great. So with that,  
6       I think it's the Internet of Things. And Paul,  
7       you want to tee it up?

8               MR. CENTOLELLA: Sure. So, I am very  
9       pleased to have this panel of speakers here for us  
10      to talk with today about the relationship between  
11      the Internet of Things and its implications for  
12      the power system. As many of you know, you know,  
13      the world that we live in has significantly  
14      changed over the last decade. You know, many of  
15      the things that, you know, were just devices, you  
16      know, a decade or two ago, are now platforms with  
17      sensors that gather information. Intelligence of  
18      some sort. And the ability to then act, based  
19      upon, you know, information that they have. And  
20      information that may be processed over the  
21      internet. So, whether it's our cell phones, or  
22      our credit cards. Our cars or the airplanes that

1     we flew here in, or the, you know, the locks on  
2     our front door. Or our thermostats. All of these  
3     things are potentially, in many instances,  
4     connected to a distributed intelligence. That has  
5     implications for the power system that operates it  
6     all, because all of these devices connect in some  
7     way, to that system, either themselves, or through  
8     the digital technologies that will underlie and  
9     provide the intelligence for them. And  
10    fundamentally, run our economy. So, we thought it  
11    was important in thinking about this from a Smart  
12    Grid perspective, to go beyond the boundaries of  
13    the grid per se. And to look at this broader  
14    picture. And look at it in the context of what  
15    are the challenges. The challenges, in terms of  
16    the architecture for this broader system. The  
17    challenges in terms of how it's controlled. And  
18    of how security is maintained. But also look at  
19    the opportunities. The opportunities in terms of  
20    more efficiently managing the power system.  
21    Enabling us to use the assets of the power system  
22    much more efficiently, so that we can move beyond

1     a system that has only, you know, at best,  
2     oftentimes 50 percent or lower asset utilization.  
3     And, you know, and potentially improve the quality  
4     of our lives. So we've put together a fantastic  
5     panel that I'm very pleased to have here. We're  
6     going to start with someone who almost needs no  
7     introduction. But I -- it's such a pleasure to  
8     introduce him, so I'm going to do it anyway. Vint  
9     Cerf. Vint and I served together on the Board of  
10    the Smart Grid Interoperability Panel. And we'll  
11    hear more about that, you know, a little later.  
12    Vint is -- was one of the people who was  
13    responsible for the development of some of the  
14    basic protocols of the internet. He was the  
15    founding President of the Internet Society. He  
16    has won more awards than I can begin to list.  
17    But, you know, it's hard not to mention it.  
18    National Medal of Science in 1997. An IEEE Fellow  
19    in 1998. The -- he was named a Living Legend by  
20    the Library of Congress in 2000. You know, the  
21    Turing Award in 2004. And a Presidential Medal of  
22    Freedom from President Bush in 2005. So, it's a

1 real privilege to have you here Vint, and I'm  
2 really glad you're able to join us. Following  
3 that, we'll have two other speakers. We have --  
4 we're very privileged to have also the CEO of the  
5 Smart Grid Interoperability Panel. The SGIP was  
6 formed in 2009, to help accelerate the development  
7 of standards for the Grid here in the U.S., and  
8 was associated with much of the development of  
9 standards for grid modernization here. And so,  
10 there are -- there are certainly some success  
11 stories that come out of that. But also, some  
12 ongoing needs. And it's, you know, it's a real  
13 privilege to have Sharon Allan, who's here for  
14 that. And finally, our final speaker is going to  
15 be Frans Vreeswijk. Frans is the General  
16 Secretary and CEO of the International  
17 Electrotechnical Commission. The IEC is an  
18 international standards body with membership from  
19 most of the developed and developing nations  
20 around the world. And is very much involved in  
21 the development and promulgation of standards for  
22 both electrical and electronic devices. He is

1       very much involved in thinking about both the  
2       Grid, but also the Internet of Things. And how  
3       all this relates to our economy and to the  
4       development of Smart cities and Smart systems.  
5       So, we're looking forward to having that  
6       international perspective as well. So with that,  
7       I'm going to turn it over to Vint, and then we'll  
8       just go down the line. So, Vint.

9               MR. CERF: First of all, I really  
10       appreciate the opportunity to be here. I guess I  
11       would like confirmation of how much time I'm  
12       allowed to opine on this. 10 minutes? No. 20  
13       minutes. Okay. We'll negotiate. My problem is  
14       that there is more material here than I could  
15       cover in that amount of time. I'm going to try to  
16       convince you today, that the first order of  
17       business is to make sure none of these damn  
18       Internet of Things devices comes anywhere close to  
19       the Electrical Power Grid Control System. I don't  
20       care how much, you know, advantage you might  
21       imagine these devices will bring. They're too  
22       dangerous at the current state of development to

1       come anywhere close to grid control. The reason  
2       this is so critical, is that most of these devices  
3       have software in them that is weak, has bugs and  
4       vulnerabilities. And they will be exploited and  
5       have been exploited. If you can imagine  
6       controlling a large number of power consuming  
7       devices and deliberately turning them off and on  
8       in -- at the scale of millions of devices, you can  
9       see the kinds of potential hazards that could  
10      arise. So, that's what I want to convince you of  
11      from the architectural point of view. The Smart  
12      Grid Interoperability Program standards need to  
13      take that into account. So let me start out by  
14      pointing out that the real risk here is the  
15      software. The people who make these devices don't  
16      particularly care very much about the software.  
17      Many of them are just interested in selling you  
18      something and getting out of the way. There are a  
19      lot of people who have -- who have a model, that  
20      there's a mobile and a device and an app. End of  
21      story. And, of course, several things should  
22      occur to you right about then. The first one is,

1     what if you have 87 apps that deal with the 87  
2     devices you have in your house, and imagine  
3     flipping through the apps to figure out how to  
4     turn on the lighting or flush the toilet. That  
5     doesn't sound very attractive. The second problem  
6     is, that if you can only get to the device through  
7     the public internet, what happens if the internet  
8     isn't accessible in your home? Does the house  
9     stop working? That can't be a good outcome  
10    either. So, and to go further, these pieces of  
11    software are going to have bugs in them, because  
12    for 70 years, we have not succeeded in learning  
13    how to write software without bugs. And let's  
14    assume that we're even responsible people, and we  
15    decide we want to upgrade the software to fix the  
16    bugs. Well, how does the device know that it's  
17    downloading a piece of software, which is from a  
18    legitimate source and hasn't been modified? How  
19    do we assure the integrity? Well, digital  
20    signatures maybe. So, then what if the company  
21    that makes this device has gone out of business?  
22    And, so now there are bugs in the software and



1       nobody to fix them. We don't have a framework  
2       right now that deals with any of this stuff. And  
3       if it were just devices that plugged into the, you  
4       know, household mains, and consumed electricity,  
5       this wouldn't be such a problem. But the fact that  
6       they are potentially remotely controllable, is  
7       what creates the scary thing. So, I have believed  
8       that, if you're going to design IOT devices, you  
9       should start on the presumption that the device  
10      will require strong authentication of the party  
11      that is attempting to either control the device or  
12      to gather data from it. And in the absence of  
13      that strong authentication, the device should  
14      refuse to cooperate. Now what does that mean? It  
15      might mean two factor authentication. It might  
16      mean some form of certificate authority. Or some  
17      other strong public key crypto mechanism. But I  
18      think that's very important. The devices have to  
19      be paranoid and refuse to communicate if they  
20      can't confirm the party that's trying to control  
21      or gather data. There's another problem and it's  
22      the 200 devices in the house and the 15 year old

1     next door. When you're trying to configure all  
2     those devices, you don't want to sit there typing  
3     IPV6 addresses all afternoon. And worse, the 15  
4     year old next door notices that you're in  
5     configuration mode and configures himself into  
6     control of your entertainment system. Or worse,  
7     you accidentally configure your neighbor's devices  
8     into your system. You know the joke about the --  
9     the two people in bed with the cross controls for  
10    the heated electric blanket? So one's turning it  
11    up. The other's turning it down, and they can't  
12    figure out why it's not working right. So we have  
13    that problem. And in an industrial setting, there  
14    could be tens of thousands of these devices. So,  
15    scaling up of configuration, making it easy and  
16    reliable, is a terribly important thing. So, with  
17    regard to access control and security, we've  
18    already -- I've already said how important it is  
19    to have strong authentication. But now, think  
20    about how complicated this is going to get. You  
21    have residents and you have guests. So, how long  
22    does it take you to introduce the guests to the

1 house? How do they know how to turn the lights  
2 off and on and to flush the toilet and so on?  
3 Worse, after they leave, you have to revoke their  
4 privileges. So how is that supposed to work?  
5 What makes it worse, is that what if somebody  
6 breaks into the house and somehow manages to  
7 configure the control of the house into their  
8 favor, and then later on, you know, they'll do  
9 other kinds of bad things. What about parents  
10 versus kids? Most of the time, you parents want  
11 to have more control over the house than the kids  
12 do. Although, in these days, the young kids seem  
13 to know more about this sort of technology than  
14 the parents do. But, it's pretty clear that you  
15 don't want your five year old to control the  
16 security of the house. How does the system know  
17 that? What is the mechanism by which we achieve  
18 that? Now there are some places, including my own  
19 company, Google, that are offering devices that  
20 will do voice control. And while that's kind of  
21 cool and it's sort of like Star Trek, the question  
22 of identification of speaker and the association

1 of authority with that speaker, is not so easy.  
2 And I don't claim that we've solved that problem.  
3 I don't think we have. So this leads to other  
4 kinds of control platforms or mechanisms, so you  
5 might even end up in every room in the house with  
6 a little flat panel that lets you say, you know,  
7 turn the light on in the corner. As opposed to  
8 having an argument with the voice control system.  
9 Another thing, which I'd like you to consider, is  
10 what happens in an emergency? If the house is on  
11 fire, and the Fire Department is on its way, you  
12 might want them, at that point, under those  
13 conditions, to have access to the webcams in the  
14 house, to see if anybody is collapsed on the  
15 floor. Or to have access to the temperature  
16 sensors, you know, in which parts of the house the  
17 fire is burning. After the fire is out, you don't  
18 want the Fire Department to have continued access  
19 to the internal systems. And so, how do you  
20 revoke that privilege? How do you offer the  
21 privilege? And how do you deal with strong  
22 authentication? Again, the same scenarios can be

1     made up for the Police Department and medical  
2     emergency. There's also something, which is not  
3     so obvious. And that is, that some data, which  
4     seems innocent, isn't. I have a little radio grid  
5     in my house. It's a cell forming radio network.  
6     Every sensor is storing forward device. It  
7     automatically forms a network. Every room in the  
8     house captures temperature, humidity and light  
9     levels every five minutes, and sends that through  
10    this mesh network to a server in the basement. At  
11    the end of the year, I have a very good idea of  
12    how well the HVAC has worked. But suppose  
13    somebody gets access, just to the temperature  
14    data. Over a period of a year, you begin to  
15    understand how many people live in the house.  
16    Which rooms did they use? What are their diurnal  
17    patterns? When are they away? And, so that could  
18    be fairly damaging information. So, even  
19    something as simple as temperature, could turn out  
20    to be something that you want to control access  
21    to. I don't have to say much about standards to  
22    this group. And, especially with the SGIP

1 observations coming up. And IEC as well. But,  
2 standards are super important here, because they  
3 confer interoperability. And my current  
4 impression of the state of the art of IOT, is that  
5 there are companies going in 17 different  
6 directions. Many different protocols that are  
7 being proposed for communication among the  
8 devices. Many different stacks layered --  
9 protocol stacks to manage these things. Different  
10 forms of authentication. Some strong. Some not  
11 so strong. So, in fact, we've got lots and lots  
12 of different proprietary contenders. And I think  
13 we're going to go through a lot of white water,  
14 before we come to any conclusions about what we  
15 can commonly agree on. It's terribly important  
16 that we get there. Because, in the absence of  
17 some commonality, it's going to be very hard to  
18 assure safety and security.

19 Another thing has to do with backward  
20 compatibility. Some people are going to buy these  
21 devices and leave them in their homes or in their  
22 industrial settings. (Coughs) Excuse me. Hang on.

1 I promise that I will not spread this germ to  
2 anyone in the room.

3 CHAIR TIERNEY: How can you do that?

4 (Laughter)

5 MR. CERF: Yeah. I'll try not to  
6 breathe too deeply. Backward compatibility is an  
7 issue. If the devices are -- last for a long  
8 time, like decades. Who's going to maintain that  
9 software? And when you release new components,  
10 will they be backward compatible with the old  
11 ones? Or will you have to rip stuff out of the  
12 house or the plant, in order to make things work  
13 again, because something has gotten too old? Now,  
14 we tend to replace our mobiles fairly quickly. I  
15 mean, within a year or two or three. But there's  
16 other equipment that you have at home and we  
17 certainly have in office settings that is there  
18 for much longer periods of time. Especially some  
19 of the larger components like HVAC. I think that  
20 there will be a lot of pressure from different  
21 elements of our socioeconomic organizations to  
22 achieve commonality. But it's going to take a lot

1 of time to get there. When I talk to my engineers  
2 about my priorities for doing IOT design, at the  
3 top of my list is reliability. And that's because  
4 -- and ease of use, because if you can't use it,  
5 or if it isn't reliable, or you have to keep  
6 flipping, you know, I mean an argument with the  
7 oral command system to turn the light off and on,  
8 that's going to become old really fast. So,  
9 reliability is very, very high on my priority  
10 list. Safety is the next one. No one wants a  
11 device in the house if they think it's not safe.  
12 Now, how the heck are you going to show that it's  
13 safe? If the maker of the device says it's safe,  
14 why would you believe that maker? The maker just  
15 wants to sell you a device. So we need an  
16 underwriter's laboratory equivalent that will say  
17 something about these devices and the software  
18 that they have on board. We don't have such a  
19 thing right now, although the underwriter's  
20 laboratory itself is starting to push in this  
21 direction. There's another fellow in Cambridge  
22 Massachusetts. He's working in this space as



1 well. And he's got software that will analyze the  
2 software of these IOT devices, whether it's source  
3 code or perhaps object code, to try to identify  
4 whether there are obvious problems with the  
5 design. Security is just as important, all partly  
6 because of access control. And partly because of  
7 the control of access to data emerging from the  
8 devices. I can imagine that a lot of people would  
9 be very concerned about privacy. If you have  
10 webcams in the house, you don't want random people  
11 being able to access the webcams. And speaking of  
12 webcams, those of you who didn't happen to follow  
13 an event last year, half -- 500,000 webcams were  
14 taken over as a Botnet, we call them Mirai Botnet.  
15 Each of those webcams launched a megabit per  
16 second stream at the Dyn Corporation, which also  
17 happened to deal with domain name in the look-ups.  
18 And so a lot of the World Wide Web became  
19 inaccessible when Dyn Corp was collapsed, with a  
20 550 gigabit per second stream. You know, do the  
21 math. One megabit times 500,000. 500 gigabits  
22 per second, which overwhelm the company's systems.

1     They actually moved to Google's infrastructure in  
2     order to defend themselves against similar  
3     attacks. But the reason this worked, is that the  
4     Mirai network was built on webcams that had no  
5     access control. Either nothing at all or well  
6     known usernames and passwords that were not  
7     changeable. And so that's irresponsible, from my  
8     point of view. And the problem that we face is  
9     that there's a -- will be in this competitive  
10    environment for IOT devices, a real problem trying  
11    to deal with responsible behavior of the makers of  
12    these things. Especially given that these are  
13    coming from all over the world. They're not just  
14    domestic. So, figuring out how to cope with this  
15    is a big issue. What about autonomy? This is  
16    something that often gets left out. But what if  
17    you can't get access to the internet? Does that  
18    mean your house stops working? You know, this is  
19    not a good idea. So, there has to be some ability  
20    to use these devices locally, even if not all of  
21    their functionality is available.

22                 And finally, of course, interoperability

1       is valuable, especially if you want to manage an  
2       ensemble of these devices scattered around the  
3       house. And certainly, it should be obvious and in  
4       an industrial setting, in advanced manufacturing,  
5       where a lot of these are programmable robots. Or  
6       programmable 3D printers. Or programmable other  
7       mechanisms, you want them to inter-work, so you  
8       can control and manage them. So I think this is  
9       coming up to my last slide. No, that was my last  
10      slide. So, why don't I stop there. And Paul, do  
11      you want to do Q&A now, or should we wait until  
12      we've had some --?

13               CHAIR TIERNEY: Let's go through the  
14      panel.

15               MR. CERF: Okay. You're on.

16               MS. ALLAN: Sure.

17               MR. CERF: Here you go.

18               MS. ALLAN: So, I'm not going to do the  
19      SGIP introduction, since it seems like it's been  
20      done twice for me, other than to say thank you for  
21      the invite today. And I have two and a half more  
22      days of being SGIP, because Friday we file a

1 Certificate of Merger here in Washington, D.C.  
2 With another 501C3 called the Smart Electric Power  
3 Alliance, which shares a lot of the same beliefs  
4 that we do. [SEPA] Has 1100 members of which 560  
5 are utilities. So, thank you for -- for having me  
6 here today. So much of what I say is -- will be  
7 framed from the work that we do at SGIP. And  
8 really, my close to 40 years of being an engineer,  
9 a manager and an executive, running various  
10 aspects of work within this industry. And we are  
11 not -- SGIP is not a standard organization. We  
12 work with many, many different standards  
13 organizations. And we run a lot of collaboratives  
14 with government regulators, utilities, market  
15 participants, to work on hard issues outside of a  
16 formal proceeding or legislative action. Because,  
17 we believe people around the table are much more  
18 collaborative if they're doing it, not in a  
19 formalized setting. So, our focus areas have  
20 been, and I'm going to give the context of my  
21 comments. And I'm going to be so bold as to  
22 conclude with some considerations for DOE to

1       consider in this particular area. So, one, when I  
2       look at, you know, just using our drawing, and  
3       thinking about things that perhaps this group has  
4       heard about, if I roll back seven years ago, and  
5       the inventive automation really started getting in  
6       greater swing within -- within the power sector.  
7       There was a time, up at the head end, where I'll  
8       say, at an enterprise application level, there are  
9       such systems as Customer Information System. GIS.  
10      Asset Management. AMI Head End. Meter Data  
11      Management. And in the early days, what you would  
12      see is, integration on point to point connections.  
13      You'd -- and so, if you ever remember any of those  
14      drawings anybody presenting to you, they would  
15      show you a drawing that looked like Spaghetti --  
16      Spaghetti Code. And they'd say, as an interest  
17      industry, we need to embrace service oriented  
18      architecture. And have something called an ESB.  
19      An Enterprise Service Bus, where applications  
20      would present information and other applications  
21      would subscribe it. And, what we've seen over the  
22      last decade, is we've seen members of our sector.

1     And a lot of implementers implement energy service  
2     buses -- enterprise service buses at a server  
3     application end. Well, what's happening in our  
4     industry right now, is there's a real push to what  
5     I call the grid edge. And the grid edge is where  
6     you'll see down at the bottom of the chart, things  
7     that are in distribution called field devices.  
8     Electric storage. Meters. And then you see things  
9     on the home. And what is happening that is kind  
10    of pulling us towards the grid edge, is that we  
11    have customers who, not for energy needs, might be  
12    automating their house. There are protocols in  
13    standard approaches being pushed inside the home.  
14    There were two organizations. One called AllSeen.  
15    Had a protocol called AllJoyn, on like, how could  
16    you watch your cake bake in the oven? And how do  
17    you connect it with other devices? Then there was  
18    another one. Open Foundations Committee. And  
19    those two consortium have come together. So  
20    there's these players, Sony, Panasonic, that  
21    really don't come from the power sector, that are  
22    saying, how do I automate the building in the

1     home? And it's not a huge leap when you start  
2     looking at connecting and modeling devices, to  
3     say, how do we model energy as a resource into  
4     that network? Now we from the utility sector,  
5     have been coming at it for a number of years on  
6     the demand side management, saying, how do we  
7     define that protocol to the house and the water  
8     heater and the thermostat? And guess what, we're  
9     not interacting with this other entity going on.  
10    We're defining a Smart energy profile now called  
11    IEEE 2030.5. And there is this tug of war that  
12    will play out in the market. Is energy just  
13    another resource in the home automation? Or does  
14    energy really drive the home automation? So, when  
15    we look at connectivity, I'll take a step up.  
16    Internet of Things, to many, in the broader sense,  
17    is the connectivity of devices exchanging  
18    information and connecting, anytime, anywhere.  
19    And when we look at the grid edge and the advent  
20    of Distributed Energy Resources, there is this  
21    paradigm shift. When we rolled out automated  
22    metering infrastructure, we put in Smart meters.

1     We put encryption keys in those smart meters. And  
2     the way you unlock and interpret the data, is at  
3     the AMI Head End. Then you pull that data out.  
4     It goes over to a Meter Data Management System.  
5     And we opened it up for third parties with Green  
6     Button. Well, now that we look at DER, we need  
7     the meters to be able to talk to the distributed  
8     devices. To be able to talk to the storage  
9     devices. To be able to communicate with grid  
10    devices called Load Tap Changers, Capacitor Bank  
11    Controllers. And guess what? Those all connect  
12    up through unique functional domains. So, while I  
13    might be 200 feet apart in devices, I've got to  
14    make a round trip. And my meter all the way back  
15    to the enterprise. From the AMI Head end to the  
16    MDMS, over to the SCADA System. Over to the DERM  
17    System, back out into the field. And we believe  
18    that the industry is pushing towards monitoring  
19    control and interaction of data exchanges at the  
20    grid level, which causes a rethinking of, other  
21    devices have to be able to come into the network,  
22    and be able to exchange information securely,



1 without doing a round trip all the way back up  
2 into the enterprise to go back to the field. When  
3 you look at various things that are happening,  
4 there is good things going on. So, if I look at  
5 -- in Europe, it's much more pervasive than in  
6 North America. But, in terms of what controls  
7 grid devices out of the substation to different  
8 distribution automation, there is an IEC standard  
9 called 61850. Not as predominant here in North  
10 America. We primarily use something called DNP3.  
11 But, the IEC has done, what I'll call an internet  
12 version. A 61850, and that goes to ballot. So  
13 there's a recognition that we need more standard  
14 approaches to be able to connect to devices. And  
15 there's different standards bodies that are  
16 working on it. IEEE has approximately  
17 standards that they've gone through.  
18 And have enabled how to connect with standard  
19 internet technology. They've got projects on the  
20 books, looking at how to do this. In addition to  
21 the work that's going on between IEC and IEEE,  
22 SGIP championed a proof of concept in an early

1 pilot project with a number of utilities and  
2 vendor participants. And we ran it through a  
3 NAESB, the North America Energy Standards Board,  
4 to become a standard on how devices begin to  
5 exchange information, device to device, without  
6 going all the way back up to the enterprise. And  
7 that's still in its early days. One of the things  
8 that we applaud DOE for doing is, there's this  
9 thread of cyber-security on a number of the GMLC  
10 projects. We at SGIP happened to participate in  
11 four of those. But I know that the architecture  
12 committee, I know that the interoperability group  
13 that is -- project that is formed under GMLC, has  
14 the thread. We're constantly on the phone every  
15 week talking about, how do you thread cyber-  
16 security? And what's the impact of  
17 cyber-security? And I think, having the  
18 thoughtful leadership, not of just one national  
19 lab, but multiple national labs and industry  
20 coming together, I think is a good thing, and I  
21 applaud DOE for the funding of that. Something  
22 that DOE also funded, that is in early days, but

1       there are two projects. One is an Intel project.  
2       Another is with another company called RTI, where  
3       they're looking at how to create with hardware,  
4       essentially, a -- a router device or a device out  
5       in the field, on the edge, that has security built  
6       in, that can be used as an overlay with certain  
7       grid devices, without a utility having to rip and  
8       replace everything. It's too early. You know,  
9       that project's literally just started. But it's  
10      the lessons that are learned that I believe, will  
11      help to stimulate the innovation and the thinking  
12      and what are the impacts that are needed as we  
13      begin to think more clearly towards the grid edge.  
14      Earlier this year, the OpenFMB group, which  
15      originated -- has originated out of SGIP, has  
16      kicked off a cyber-security working function of  
17      that. And what we -- what we recognize, is that  
18      as you start to look at doing this, so I described  
19      in my opening comments, how we've thought a lot up  
20      here at the server level and implying enterprise  
21      service buses. And once you had applications,  
22      talking to applications, there's new software that

1       came into the market. Identity and access  
2       management, so you didn't have to log on to every  
3       server. How you configure your fire wares. How  
4       you -- how you go and make sure that the data and  
5       the databases is truly secure. And we've got to  
6       think, well, what do we do as we come out of that  
7       enterprise, and take some of those lessons learned  
8       into the field? So, for consideration, the  
9       thoughts I would -- my observations, what I see,  
10      is that, we're still very much singularly,  
11      functionally focused. So, we have groups who are  
12      focused on, how do I securely communicate to  
13      storage? How do I securely communicate to an  
14      inverter? How do I securely communicate to a  
15      meter? But the grid edge is pushing us and our  
16      industry, so we are a connected model. It is no  
17      longer storage and isolation. It is no longer  
18      solar and isolation. It is no longer meters just  
19      for billing for customer service. There is a need  
20      for this ecosystem, to be able to communicate the  
21      grid edge. And what's important about the grid  
22      edge, is these devices, while they don't have the

1 full power of a server up there, they are now  
2 software enabled. Most of them are now, if they  
3 don't, they're being pushed towards communicating.  
4 So that means a communication device. So, now we  
5 have a device that needs to be configured. It  
6 needs to be able to execute and initiate  
7 communications with another device. It needs to  
8 be able to have a root of trust. So you know it's  
9 legitimate coming on the network. And the data  
10 that you receive is legitimate. It needs a way to  
11 authenticate from device to device. We have  
12 demonstrations right now, where you see it  
13 individually. You'll see people have put security  
14 into the AMI systems. You see people looking at  
15 how they overlay security into the substation.  
16 But where I think that we've been really lacking,  
17 in terms of looking broader, and so I would  
18 encourage that this is an area that, I believe,  
19 DOE can help with, in terms of leveraging the  
20 national labs. Or looking at some of the  
21 cooperative agreements, where it is an industry  
22 DOE cooperation, is that we don't have so many

1     looking across device. So, when I want to manage  
2     things, I don't want to have to do configuration  
3     management from my meters here. Go over, do  
4     configuration management for storage here. Go  
5     over and do configuration management for load tap  
6     changes. Cap bank controllers, or whatever here.  
7     I need to be able to have a similar process to  
8     configure devices. And we need the ability for  
9     devices in the field, to be able to exchange  
10    information securely, at scale. Why is this  
11    important? The reason this is important, as we  
12    see more Distributed Energy Resources come on to  
13    our distribution grid, whether it is rooftop  
14    solar. Whether it is EV charging, that can also  
15    be load as well as serve as battery availability  
16    of energy. Or, we're looking at some other type  
17    of (inaudible) fuel cell. Whatever. The latency  
18    of being able to manage everything centrally,  
19    starts to become problematic when you're looking  
20    at the reliability and the resiliency of the grid.  
21    In terms of reliability, the voltage levels down  
22    the feeder, are changed and affected. The --

1 non-useful energy, but something within our  
2 industry, we call reactive power. That is  
3 affected. And so, there's a need. There's a push  
4 that we need devices to be able to communicate  
5 with devices. And we need to be able to do that  
6 securely, at scale. We need to be able to monitor  
7 it. We need to be able to configure it. And we  
8 don't have that today in this industry.  
9 Everything pretty much does round trip cycles, all  
10 the way back up to the enterprise and back into  
11 the field. And what that means, is that we have  
12 higher costs, because there's a cost of data load  
13 to go all the way up to the enterprise to yet come  
14 back out to the field. So, if DOE is looking for  
15 suggestions as far as things to help motivate the  
16 innovation cycle of the adoption of IOT within  
17 this sector, I think dealing with this issue of  
18 how we do across multiple kinds of devices, in the  
19 field, at scale, is one that I would offer up and  
20 open for the dialogue that will ensue. Thank you.

21 MR. VREESWIJK: So good afternoon ladies  
22 and gentlemen. First of all, thank you very much

1       for the invitation. It's a great honor to be  
2       here. Allow me to start with a little bit of  
3       introduction of myself. So my name is Frans  
4       Vreeswijk. I'm Dutch. I worked for Phillips  
5       Electronics for 30 years. First 12 long years as  
6       a researcher. And later on as a manager. And  
7       when I became a manager, I knew that I had left a  
8       field of the specialist, and became more the  
9       generalist. Five years ago I moved to the IEC and  
10      I moved to live in Geneva. The IEC is based in  
11      Geneva. The IEC is 111 years old. And our first  
12      President was Lord Calvin. We have, in our  
13      family, 170 countries. And we can do the work,  
14      because the industry, all the stake holders, they  
15      all provide volunteers. We have some 20,000  
16      volunteers writing standards all over the world.  
17      And here in the U.S., the U.S. National Committee,  
18      which is the member of the IEC, is hosted by NC.  
19      And so, that is say, the phase in the U.S. for us,  
20      goes through NC and through the U.S. NC.

21               Let me say a few things about Internet  
22      of Things. I will also, in the coming, say



1 minutes, explain to you our point of view  
2 regarding IOT. But also the impact on the power  
3 sector, and on the Smart cities, and the  
4 relationship between those. Now let me go to the  
5 next. Yes. The Internet of Things is not new.  
6 It simply wasn't called like that until recently.  
7 And to give you an example, the digitization of  
8 manufacturing, has been taking place of for many  
9 years already. And the same holds for security  
10 and surveillance. What has changed, is that IOT  
11 has now reached a development stage, where it is  
12 becoming naturally universal. The affordability  
13 of limitless computing power, the decreasing cost  
14 of sensors and our ability to store massive  
15 amounts of data, are simply enabling the broad  
16 deployment of IOT. This then allows cities and  
17 energy networks, to move to greater smartness.  
18 And to allow city services to escape their silos.  
19 IOT enables the linking of devices and sectors.  
20 But have never been connected before. Making them  
21 do things that have never been attempted before.  
22 That means that interoperability will have to

1 permeate everything. And to have it just at some  
2 levels, will simply be no longer an option. And I  
3 think some of the examples have already been given  
4 here. The concept of Smart Grids, forms now an  
5 integral part of Smart cities. And if you realize  
6 that by 2050, which seems far away, yet again, if  
7 you think about it, our children or grandchildren,  
8 it isn't that far away. 70 percent of the global  
9 population, lives in urban areas. Energy will be  
10 the key enabling factor for sustainable economic  
11 development. And it will drive everything in  
12 cities. However, before realizing the full  
13 potential of IOT for Smart cities, and the energy  
14 sectoring, the energy infrastructure, and its  
15 operation, needs to be improved and modernized.  
16 This will also enhance efficiency and generate  
17 cost savings. The modernization of the energy  
18 infrastructure, will increase decision making  
19 control and planning for milliseconds to years.  
20 And the ability to balance the grids from  
21 microseconds to nanoseconds. It will directly and  
22 positively impact the control of the power

1     quality. Which will become a major and growing  
2     concern, with more decentralized power generation.  
3     And increasing power demand of network devices.  
4     The modernization of the infrastructure, will also  
5     enable increased data collection and advanced real  
6     time geospatial, situational awareness and the  
7     solutions. In turn, this will lead to more cost  
8     effective asset planning and maintenance  
9     practices. And allow for faster response to  
10    emergency situations and/or outages. The impact  
11    of weather or fires on daily operations, will be  
12    faster and easier to understand. Geospatial and  
13    visual analytics, are able to merge and correlate  
14    data from Smart meters, switch sensors, weather  
15    reports, emergency systems, to support the more  
16    informed decisions, which are needed. New energy  
17    solutions will lead to new value add services.  
18    And this may very well include services that  
19    nobody has asked for. But which have been made  
20    possible, actually through technology. Any  
21    investment will likely result in multiple revenue  
22    streams. Here the example of a Smart lamppost,

1     that can address many different citizens needs and  
2     city needs. So IOT, in Smart cities, goes well  
3     beyond the data collection, or the applications  
4     that interact with individual consumers or  
5     physical devices. It includes Smart  
6     manufacturing, connected health and homecare.  
7     Transportation. Smart mobility. Smart buildings.  
8     Smart lighting. Distributed energy generation and  
9     all related needs for interconnection and data  
10    collection. Now, a precondition for the  
11    integration of different city sectors, is the  
12    broad permeation of sensing technology. The  
13    establishment of a joint service delivery  
14    platform. A common data warehouse and collective  
15    data management and analytics, as well as common  
16    communication platforms. In some countries, Smart  
17    meters penetration is already very high. And  
18    multi-meter collection, allows for information  
19    into action, between water, gas and other energy  
20    sources. This is the world. Cyber-security. It  
21    will be a key element that will have to be  
22    designed into every system. Since cyber-security

1 will never be 100 percent, the regulatory needs to  
2 define how many 9's, 99.999 percent, have to be  
3 reached, or it can't be implemented. This is a  
4 common concept, as you know, in aerospace  
5 industry. But not generally found everywhere.  
6 Cyber-security standards can define concepts and  
7 propose minimum levels of performance. But  
8 ultimately, the regulator has to decide what  
9 remaining risk is acceptable. The IEC has  
10 published a white paper that outlines the  
11 challenges of smart and secure IOT platforms. In  
12 the context of Smart cities, we have also  
13 published more than 200 cyber-security standards.  
14 Many of which apply to critical infrastructure.  
15 As mentioned earlier, network devices are an  
16 integral part of IOT. And with their continuous  
17 electricity consumption, they represent another  
18 set of implications for the energy sector. The  
19 last quantity of devices and their continuous  
20 sensing, data collection, data sharing, and the  
21 need for data storage, will impact power demand  
22 exponentially. In some cases, technologies such

1 as, LED OLET, new types of batteries, printed  
2 electronics, advances in energy harvesting and  
3 others, are able to contribute to limiting the  
4 power needs of the individual network devices.  
5 However, to satisfy this growing demand, energy  
6 demand, and to limit the environmental impacts of  
7 IOT, increased integration of sustainable power  
8 sources, including renewables and energy storage  
9 will be needed. Energy storage is growing in  
10 importance, to ensure that the power quality, to  
11 ensure power quality, to enable micro grids and to  
12 make the most of intermittent renewables, such as  
13 solar and wind. Low voltage DC, low voltage that  
14 is direct current, opens new opportunities for the  
15 direct use of renewable energy. And the  
16 integration of data communication into the energy  
17 distribution network. The IEC has put in place a  
18 systems committee that develops and updates all  
19 the relevant standards that are needed to make  
20 LVDC, safe and broadly usable. Both in countries  
21 that lack universal access to energy. And in  
22 situations where a large supply of quality

1     electronics, is needed. For example, for data  
2     centers, hospitals or commercial buildings.  
3     Another area that will be impacted by IOT, is  
4     energy efficiency. For a long time, energy  
5     efficiency was addressed in terms of reducing  
6     overall power consumption, during the device  
7     operation and the stand-by mode. However, network  
8     devices are constantly collecting and sharing  
9     data. They are staying energized most of the  
10    time. This requires a new approach to energy  
11    efficiency. The IEC has published relevant  
12    standards that cover a network stand-by mode, in  
13    an effort to reduce the power consumption of the  
14    always on devices. Now let me give you a bit of  
15    perspective from the outside. In the U.S., the  
16    grids are much more fragmented compared to the  
17    rest of the world. And much of the infrastructure  
18    is a bit dated, compared to other countries. One  
19    could, therefore, presume that the U.S. is,  
20    therefore, not in the best situation to address  
21    these new demands related to IOT. The U.S. wants  
22    to, however, to be a society that is leading from

1 a technical point of view. Or technology point of  
2 view. And with IOT, there will be very high  
3 expectations on the power infrastructure, which  
4 will, therefore, require large investments. But,  
5 while the U.S. power industry is fragmented, it is  
6 also very agile. And decision processes and  
7 funding are much faster and easier than in most  
8 other countries. Therefore, it is unlikely, as  
9 mentioned before, that IOT can be standardized as  
10 a whole. However, industry needs to unite, to  
11 ensure that interoperability and security, is  
12 built in from the start. That, from semiconductor  
13 manufacturers to Network Operators, to system  
14 integrators. Regulators and this need for  
15 interoperability, will drive the development of  
16 cross industry standards, which are needed. There  
17 is a lot of value to try to share common platforms  
18 internationally, in an effort to be future proof.  
19 And to keep the options open, because most of us  
20 today, don't know exactly the things that will  
21 play out in IOT and elsewhere. Industries are to  
22 act quickly and make architecture choices, which,



1 or many of which, might become dead ends. While  
2 there are standards that can possibly be  
3 homegrown, there are others that need to transcend  
4 borders. The challenge is to convince the  
5 industry that global thinking will be more  
6 valuable to everyone in the long run. It will not  
7 allow only -- it will not only allow industry to  
8 share the common solutions beyond borders. But it  
9 will also stimulate research and development and  
10 the growth of markets for these solutions. Thank  
11 you for your attention.

12 (Applause)

13 MR. CERF: I don't know about anybody  
14 else, but I need a change of underwear. This is a  
15 really scary prospect ahead of us. (Laughter)

16 MR. CENTOLELLA: So, I want to kick it  
17 off with a -- with a couple of questions. But  
18 people should begin to think about their questions  
19 and start to raise their cards. So, I think one  
20 of the foundational questions is, to what degree  
21 are the challenges that we face institutional?  
22 And to what degree are they technical? You know,

1 I mean, part of this, you know, we've seen, you  
2 know, lots of different organizations trying to  
3 put together standards. You know, they are not  
4 necessarily all coming together on the same  
5 putting. And, you know, as your, you know,  
6 example with the webcam pointed out, you know,  
7 these situations, even if we had a standard for  
8 the U.S., it wouldn't necessarily, you know,  
9 protect the system as a whole. So, I wonder if  
10 you can talk about this in terms of, what's the  
11 institutional need. And how do we being to  
12 address that?

13 MR. CERF: Well, let me take a swag at  
14 this. The first observation I would make, is that  
15 because standards are, let us say, immature at  
16 this point, our first posture should be to do no  
17 harm. And to maximize safety and security for the  
18 population that's going to be using these IOT  
19 devices. And from my point of view, once again, I  
20 go back to isolating the devices from access to  
21 the control of the power grid. This is going to  
22 get harder and harder, because as Sharon points

1 out, distributed generation of power, injecting  
2 power back into the grid, creates a real potential  
3 hazard, because it's clear that there has to be  
4 control going back and forth. One possibility, is  
5 to -- is centrally make down a diode and prevent  
6 the power that's being generated at home, from  
7 actually being injected back in the grid. And  
8 that means, if you've invested in solar panels or  
9 a back air generator, or windmills or something  
10 else, you may reduce your reliability on the power  
11 coming from outside. But that you don't push it  
12 back into the grid. Now, I'm not enough of a -- a  
13 good enough electrical engineer to argue whether  
14 that's the smart thing to do. But, anything that  
15 reduces instability in the grid, seems to me,  
16 worth attention. Second thing to observe, is that  
17 security came up in all three of our  
18 conversations. And the group least likely to be  
19 disciplined about the use of security, is the  
20 general public. In an earlier meeting this  
21 morning, at USC's Annenberg Center on Pennsylvania  
22 Avenue, Lee Raney, from the Pugh Foundation, was

1       describing a questionnaire, which he had given to  
2       quite a number of the general public, asking them  
3       about cyber-security questions. And it was very  
4       clear, that the lowest thing on the recognizable  
5       list, and the one that people just didn't even try  
6       to answer was, what's two factor authentication?  
7       And, you know, I'm at Google, right. We don't  
8       allow employees at Google to use our internal  
9       services without two factor authentication. Even  
10      inside the company, on the internal network,  
11      because we've been burned before by poor quality  
12      usernames and passwords. Or, somebody managing to  
13      fish a password, you know, coming out from a key  
14      logger. So, again, I have to say, that the  
15      ability to secure the system and to rely on users  
16      to take the appropriate action, seems like a  
17      really weak plan. And so, I'm back to a kind of  
18      posture that says, I'm going to be as defensive,  
19      or wish to be as defensive as possible, about the  
20      design and implementation of any future grid  
21      implementation, in order to avoid reliance on  
22      either ordinary mortals or the devices that they

1       populate their homes and businesses with.

2                   MS. ALLAN: So, a lot of the focus that  
3       I have, you know, like anything, I think there's a  
4       phased approach. So, my comments stem from not so  
5       much relying on customers to do something. Within  
6       our electric systems today, utilities are putting  
7       storage on the distribution grid. Utilities are  
8       putting on community solar. Utilities are putting  
9       on charging points. And so, when utilities have  
10      to now manage and, you know, keep the reliability  
11      indices up, and manage that, what we've seen in  
12      some of the early pilots, is if you have storage.  
13      And that storage is voltage serving back onto the  
14      grid. Our current serving that the latency  
15      becomes very, very important. And in the context  
16      of a micro-grid, it will drop out. And one of the  
17      things that we're looking at, in terms of  
18      micro-grid, from a resiliency standpoint, is you  
19      want micro-grids to always keep power up where  
20      possible, so if you lose electricity, you can  
21      still serve what's part of the micro-grid. So  
22      when, you know, I don't think this is a, you know,

1     we need to be cautioned. I think work needs to be  
2     done now, because there are efforts going on from  
3     our electric utilities, who are looking,  
4     especially after super storm Sandy, to okay, how  
5     do I put up a micro-grid? How is it going to help  
6     me with meeting my resiliency? How do I keep my  
7     reliability up? And, as we started to have micro-  
8     grids, this need and issue around latency, becomes  
9     very real. So, we need to be able to have devices  
10    that are closer to the edge that can be monitoring  
11    what's happening on that feeder, so that decisions  
12    can be made. And as a result of that, I think we  
13    have to -- to really spend some effort looking at  
14    how we make those devices. I'm not talking about  
15    head end service. These devices more secure and  
16    that they can exchange data with each other in a  
17    secure manner. So, I think that there's a real  
18    meaty project there. And I think that will open  
19    up the doors for, you know, figuring out what in  
20    the end standard and protocol turns out to be the  
21    world dominating protocol. I think there's work  
22    that has to happen even before we get to that

1 level.

2 MR. CENTOLELLA: Frans, did you want to  
3 talk about it from an international perspective?

4 MR. VREESWIJK: Yes thank you. I think  
5 from an international perspective, I think -- and  
6 I think that it was also the plea I had in my last  
7 slide is, the world is larger than the U.S. The  
8 world is larger than Europe or Japan or China.

9 MR. CERF: I'm shocked.

10 MR. VREESWIJK: (Laughter) Now you know  
11 it. I know. But, and so, many of the companies  
12 are -- that are instrumental in implementing these  
13 new technologies, are say, global players. So,  
14 there is a place for international standards. I  
15 am very much in favor of ensuring that there are  
16 -- there's good cooperation between international  
17 civilization organizations, because that is often  
18 a question. And, I am supposed to list it and the  
19 history is there. There are many competing  
20 standards. And that doesn't always make sense.  
21 On the other hand, the market place usually finds  
22 out things. And regulators have a role to play, I

1 think in those, to streamline where they can. And  
2 where it makes sense. Because, I think as Sharon  
3 said, the edge of the grid becomes more intimately  
4 involved in the grid. And -- and just last week I  
5 was in South Korea at Jesu Island at a conference  
6 for international electric vehicles. And there,  
7 one of the complaints was, of course, the  
8 different possibilities of connecting your car to  
9 the grid. There are currently several outlets and  
10 sockets. And there is not just one. And everyone  
11 wants to have just one, so that you can charge  
12 your car everywhere where there's a charging  
13 station, because it just fits. It just works.  
14 Because, that's what the consumer wants. And we  
15 have to make sure that we, somehow, through either  
16 policies or regulation, ensure that the heads of  
17 all those that are active in this field,  
18 understand the problem, and work towards it. And  
19 in this respect, many of the car manufacturers,  
20 and this was my statement there, and they were all  
21 there in the room, many of the car manufacturers,  
22 they have a, what I call, a combustion refuel



1 point. You know. It means, the car is mine. And  
2 the only thing is, there comes some fuel in there.  
3 And I know the octane percentage. And I know  
4 exactly the size of the gage, and that's it. You  
5 know, you don't need anything else. And then it  
6 will drive. However, with electric vehicles, it  
7 is much different. It is an integral part of the  
8 grid in the end. It needs charging. It needs  
9 safety. It needs to make sure that, if there is  
10 energy stored in that car, you can use or reuse  
11 it. Is it fast charging, or slow charging, what  
12 are the pricing models? Everything is, therefore,  
13 connected. And I think that is, if you talk about  
14 institutional challenges, I think that's the big  
15 one. It is also to create the awareness with many  
16 of the actors, big actors in society. Like, for  
17 instance, in this case, the car manufacturer, but  
18 it holds for others as well, other areas, to  
19 broaden up their mind to say, hey listen, you  
20 know, Smart Grids, the utilities, they are your  
21 key partner now. You know. You have to talk with  
22 them. You have to get into contact with them.

1       And I think that those are the things we need to  
2       do. And if standards -- international standards,  
3       in this case, can help to support it, that is my  
4       mission. Thank you.

5               MR. CERF: Are we allowed to argue?

6               MR. CENTOLELLA: Yes. Please do.

7                       (Laughter)

8               MR. CERF: I know there's lots of people  
9       who want to say something. I guess, I didn't make  
10      my point very well Sharon. Because, my big worry  
11      is that if we lose control over the power  
12      demanding devices, and maybe even the power  
13      generating devices, because the users of them  
14      don't know anything about security, and don't  
15      exercise it. Then, no matter what else you do, we  
16      still have this unstable element in the system.  
17      And I think that's what causes me so much agony  
18      and concern.

19              MR. CENTOLELLA: So, unless you want to  
20      respond Sharon, I'm going to go to --

21              MS. ALLAN: No. I -- I don't disagree  
22      with his comment. I don't disagree with his

1       comment.

2                   MR. CENTOLELLA:   Okay.   So let's start  
3       with Granger here.

4                   MR. MORGAN:   That was nice.   Thank you.  
5       We need to spend more time thinking about what  
6       problem we're solving.   You know, what need we're  
7       meeting.   That is, just because we can do this  
8       stuff, is not necessarily why we should do it.   I  
9       think, Dr. Cerf, that in the -- in the context of  
10      the power system, there's no avoiding at least  
11      some of this technology.   But not everything needs  
12      to be able to talk to everything.   And so we need  
13      to figure out some way to begin to separate the  
14      services that we have to implement for a variety  
15      of control reasons.   I've been very concerned  
16      about issues of social vulnerability.   The  
17      examples that you gave were compelling but, you  
18      know, I can also imagine people applying ideas, I  
19      mean, you know, people do ransom ware with  
20      computers, but you know, I could do ransom ware  
21      with this building, or with other things.   And  
22      everybody talked about security, but there is no

1 way, at the moment, to build fully secure systems.  
2 And so that suggests that maybe there are some  
3 things one shouldn't be doing. We need a critical  
4 assessment, I think, of just how widely stuff  
5 ought to be interconnected. And as I say, an  
6 assessment of some things that at the moment, we  
7 shouldn't be doing. We've still got sub-stations  
8 across the country that have software that's been  
9 lifted out of the Windows Operating System and,  
10 you know, that really troubles me.

11 MR. CENTOLELLA: I don't hear a  
12 question, so I'm going to go to Gordon.

13 MR. MORGAN: Good. No, that was just a  
14 comment.

15 (Laughter)

16 MR. FELLER: I do have a question. So  
17 it comes back to the framing that you provided  
18 with the first question, where you said, choose,  
19 you know, institutional versus technical. I think  
20 there is a third dimension, which is the  
21 attitudinal. And it's attitudinal, not only in  
22 the device maker, who will say to you, bunk,

1       because we'll make whatever the demand says we  
2       should make. And nobody's going to tell us not to  
3       make that stuff, even when they say it's illegal  
4       to make that stuff. So, the attitudinal problems  
5       go up the full spectrum. Insurers don't really  
6       care. Many of the big tech companies, CISCO, I  
7       think included, don't believe that there's a  
8       global protocol any time soon. And have given up  
9       some hope that that can happen in our lifetime.  
10      Especially after seeing what happened with -- with  
11      Mirai. Which some of us thought would be a  
12      turning point, and it hasn't been. So, the  
13      question is, if you had to blow up one major  
14      attitude then, that you see in the tech companies  
15      that work with Google on common standards like  
16      Thread. Is there a fundamental, attitudinal shift  
17      that would get us closer to the goal line that you  
18      were describing?

19               MR. CERF: My reaction to that, at the  
20      moment, is no. And the reason is, that too many  
21      people, including, I think folks in my own  
22      company, are so focused on making product, that

1       they're not really taking into account as much as  
2       I would like. The consequences of large  
3       quantities of this gear showing up, again, I was  
4       saying before, the guys have this model of mobile  
5       and the device and an app. And I don't want to,  
6       you know, castigate my own colleagues. And I can  
7       understand the sort of pressure that the people  
8       are under to go produce product. So, all I can do  
9       is ask people like you to voice your concerns.  
10      And suggest defensive measures that would limit  
11      the potential hazards that we face. I don't think  
12      that there's a way to declare that this is  
13      illegal. People walk into their houses with  
14      electricity consuming devices, and they plug them  
15      into a wall. And, nothing is going to stop that.  
16      And they keep demanding devices that can  
17      communicate, because it's cute. And, so the  
18      consequence of all that is that there's this whole  
19      process running over here. And some place else,  
20      in the Smart Grid Interoperability Program, and in  
21      your heads, needs to be serious consideration of  
22      defending the grid, including the micro grid

1 configurations. Now one other observation to  
2 make. Those of us who live here in Washington,  
3 theoretically should never experience a major  
4 power outage. Well, guess what? A few years ago,  
5 didn't we have two five day power outages? The  
6 Derecho and the ice storm. I have a wine cellar  
7 that has a couple of thousand bottles in it. And  
8 after the second week outage, I installed a 50  
9 kilowatt generator in the backyard. It's a gas  
10 driven thing. And now I'm feeling so comfortable.  
11 Except that when the power does go out, I'm  
12 expecting to hear a knock on the door with  
13 somebody with a 200 foot long power cord saying,  
14 can I borrow a cup of electrons?

15 (Laughter) [UNIDENTIFIED]:

16 (inaudible)

17 MR. CERF: Yeah. That is the sort of  
18 the beginning of a micro grid.

19 MR. MORGAN: And the compressor stations  
20 on the gas lines now run on electricity.

21 MR. CENTOLELLA: Hi there.

22 MS. SANDERS: Okay. Thank you so much

1       for this panel. This was awesome. And every day  
2       I say, I learned I know less. And in the last  
3       hour, I have exponentially learned that I know  
4       less. So thank you for that. The other thing is,  
5       normally when we have these conversations, I am  
6       very excited. I'm excited about the possibilities  
7       and what the new grid could be. And right now I  
8       have so much anxiety, I can hardly breathe. So, I  
9       work for a utility. We're responsible for  
10      reliability. The expectation is that these  
11      Distributed Energy Resources will be part of our  
12      integrated future grid. So, here's my question.  
13      Do we need to change this expectation? Or and,  
14      since it is there and it's so ingrained, it's in  
15      everything. I mean, we hook up 5,000 solar  
16      rooftops a month and growing. I mean, there's  
17      190,000 plus solar rooftops in our territory.  
18      50,000 square miles. We have procured a  
19      significant amount of energy storage to provide  
20      local capacity. We have no idea how to do  
21      coordinated distributed control. Oh, and thank  
22      you for IEC 61850. We just made that part of our



1 new substation standard. And we're implementing  
2 it at two of them. And we'll roll it out to all  
3 800 in the next years, provided we get money. So,  
4 do we need to change this expectation? Do we need  
5 to start changing the conversation? I'm not a  
6 doom and gloom person, so for me to come out and  
7 say, oh my gosh, time out. Of course, I expect  
8 that. I'm in utility, right. I'm on the dark  
9 side now. So, don't do anything. Or, do we need  
10 to very proactively set out this parallel roadmap  
11 of, if you do this, you must do this. And if you  
12 don't do this, you can't do this. And what is  
13 this -- this of strong authentication? And  
14 certification of security and safety? I mean,  
15 when we do IEEE 1547, and allow those inverters  
16 not to switch off, safety for our workers. And,  
17 you know, line outages. And I can go on and on  
18 about my anxiety. And I might have to, you know,  
19 go have a glass of wine right now, but I don't  
20 even -- I don't even know what to do right now.  
21 Okay.

22 MR. CENTOLELLA: Oh, can we ease your

1 anxiety? Go ahead.

2 MS. ALLAN: So Heather, let me.

3 MS. SANDERS: (inaudible)

4 MS. ALLAN: What I -- what is occurring  
5 and what I think will continue to occur for a  
6 period of time. So, Vint had suggested, well, can  
7 we --? Have them put a (inaudible) You can't go  
8 back under the ground. I mean, oh my God, unless  
9 we want all North America chaos. I mean, the  
10 train is on the track. You know, the cat is out  
11 of the bag. I mean, there is --.

12 MS. SANDERS: I mean, we back feed  
13 almost all of our distribution substations right  
14 now. At some point in time, low load, you know,  
15 spring now, we back feed all the time. So, it's  
16 happening.

17 MS. ALLAN: So, California has a rule  
18 making, where every utility had to put a filing in  
19 how they were going accommodate the yard. The  
20 State of New York. Detroit Edison up in Michigan  
21 is looking at how to accommodate. So, I mean,  
22 things, it's kind of hard to put stuff back in the

1 bag, once there's movement. Well, what I believe,  
2 you know, what I see happening and what is going  
3 on is, there's a lot of integration work. And  
4 I'll call it, you know, go back to the olden days  
5 of the servers. Point to point integrations. I  
6 mean, there's a lot of integration throttling on  
7 security. Putting little security gateways and  
8 appliances in front of devices to -- to layer that  
9 on. And, what I would assert and I would offer  
10 up, is that we need to think longer term. So,  
11 those that go first, I mean, the reality is, the  
12 California utilities are going to be a lot of  
13 lessons learned, because they're being pushed to  
14 move first. But, we've got a lot of other states.  
15 And we've got a lot of other utilities. And we've  
16 got a lot of other suppliers into the ecosystem,  
17 that won't move quite as quickly. And so, there  
18 is time for us to be thinking very diligently and  
19 intentional, about how do we handle this. In the  
20 short term, I think we're going to layer stuff on.  
21 I think there's not going to be standard  
22 approaches. They may employ different standards.

1 But, there's not going to be good lift and move.  
2 Every utility's going to spend a bomb of money on  
3 integration work with lots of consultants to be  
4 able to get these things up and running. And in a  
5 secure manner. But, for the overall long term  
6 view, and if we look at a global view, we need to  
7 be thoughtful so that, you know, down the road,  
8 this is easier and not as expensive to implement.

9 MR. CERF: I'm thinking a little bit  
10 about the current way in which we build  
11 residential systems. Typically, there used to be  
12 a fuse box. Now we've replaced that with circuit  
13 breakers. But the philosophy behind this was to  
14 prevent you from growing too much power. Or  
15 creating a short circuit and things like that.  
16 So, that's the kind of defensive move to get you  
17 off the grid, at least at the edge. At that edge.  
18 So, I wonder whether that kind of thinking, of how  
19 do I defend the system against potential abuses  
20 going on in a residential setting. Or, for that  
21 matter, an industrial setting. What other kinds  
22 of defenses could we design and build, into this

1 distributed system. Your point about distributed  
2 control and stability, is the bugaboo for me for  
3 quite some time. I get so nervous about how to do  
4 distributed control in a stable way. And I -- one  
5 question I have, is how critical is the atomic  
6 clock timing in order to maintain phase and  
7 frequency for the power generation system? I hope  
8 we're not relying on GPS signals for that. Do we  
9 have atomic clocks that are built into the system?

10 MR. CENTOLELLA: So I -- I mean, I think  
11 that is true at the ISO level. I think one of the  
12 questions I have is, to what degree can we begin  
13 to build in some distributed response that is  
14 autonomous? And, is offsetting some of this  
15 potential instability. So we, you know, we do  
16 that a little bit with voltage. There are some  
17 folks who have experimented with it in frequency.  
18 I don't know, you know, how stable we can make the  
19 system in that way. But that strikes me as one  
20 thing that is at least worth further exploration.

21 MR. CERF: There is something going on  
22 right now, that you guys know more than I do

1       about. And that's this shift towards an  
2       increasing amount of DC generation. Part of it's  
3       coming about because of the renewable resources.  
4       They generate, well, it's easier to combine the  
5       output of those generated resources, if it's DC  
6       rather than AC, because of all the complexity of  
7       phase and frequency. So, if DC is turning out to  
8       be increasingly important and valuable, it would  
9       probably have a number of positive effects. One  
10      of them is, all the devices you have in your house  
11      right now, that have to convert from AC to DC,  
12      could just pull stuff off the DC wiring. So  
13      maybe, you know, there's this thing going on in  
14      the background. I don't know if that helps us at  
15      all. But at least DC doesn't have frequency and  
16      phase problems. So, does that --?

17               MR. FELLER: We know that Larry Page is  
18      fixated on this. Is he planning a large scale  
19      investment by Google in the DC conversion again?

20               MR. CERF: We invested in the northeast,  
21      in the DC bus that was intended. I don't know  
22      where we've gotten with this. But it's intended

1       to take power from the windmills that are some 45  
2       miles away, into the power grid. And I presume  
3       that what will happen is they'll be DC injected  
4       into transformers, which they are then keyed up to  
5       the appropriate phase and frequency in the regular  
6       grid.

7                   MR. CENTOLELLA: Frans, did you --?

8                   MR. VREESWIJK: Yeah, I just wanted to  
9       latch on to the low voltage DC, as we called it.  
10      But DC is definitely a very important technology.  
11      And I think most of you know that, one way or the  
12      other. And, I think for the future, I can  
13      definitely imagine whatever, as you say, all the  
14      appliances we have in the home, except for the  
15      washing machines. And so far, but all the others  
16      can definitely do with a low voltage DC feed. And  
17      that could, over time, I mean, that's not -- we  
18      have time to do that. But, it will change the  
19      wiring in the house. And it will also make things  
20      more simple. But, the question you asked is  
21      absolutely an important one. I think we -- it is  
22      not easy to move from where we are to where we

1 think we should be going. And we will make  
2 mistakes. And the only thing I can suggest is,  
3 look around you. Not just here in the room and  
4 here in the U.S. Because, there are many who face  
5 the same problem. Share the knowledge. Learn  
6 from each other. Look outside U.S. Because,  
7 there are some places where they have different  
8 conditions, where they can do different things.  
9 And you, perhaps, sometimes see the problem from  
10 outside even better. And, so communicate with  
11 that. And the other thing is, I can only say,  
12 because it's -- it's the DOE, is try to harmonize  
13 all the regulations across all your states, to  
14 make the life of all of you simpler. (Laughter)

15 CHAIR TIERNEY: Never.

16 MR. VREESWIJK: Sorry. Sorry, I said  
17 something wrong probably. I'm -- sorry. I'm just  
18 --.

19 CHAIR TIERNEY: They can't do that.

20 (Laughter)

21 MR. CERF: You know, if you --.

22 SPEAKER: It's a nice idea. It's a nice



1       idea.

2                   MR. CERF:  Frans, if you could do that,  
3       I would reduce 20 pounds of power converters and  
4       other little devices that I have to carry around  
5       in my computer bag.

6                   MS. ALLAN:  So, you know, it's hard, but  
7       I know it and believe it to be doable.  If we roll  
8       back, and some of you look like you're as old as  
9       me.  But you might have not lived in technology.  
10      When we started out communicating to devices in  
11      this sector, we used something called an RS45  
12      loop.  Which, was a serial connection, you know.  
13      Then we went to optical communications.  Then we  
14      went to, you know, a RS485 loop.  Then,  
15      eventually, we had serial, you know, over  
16      something else.  Then we had a plethora of  
17      wireless technologies.  We went through Datatech,  
18      Mobiletech, etc.  You know, the early CDMA.  I  
19      mean, the -- we've been evolving.  And this is in  
20      -- just in the last 10 years.  When AMI Meters  
21      first started, that was back in 1999.  We have  
22      over 65 million connected meters here in North

1       America. And those meters, and those AMI  
2       companies have had to learn how to -- how do you  
3       encrypt it? How do you authenticate it? How do  
4       you commission it? And how do you deploy 65  
5       million of them? So, what I would assert is,  
6       we've done it for 65 million meters. Let's think  
7       about how we do it between meter inverter storage  
8       devices, low tap changer. There's -- there's  
9       lessons that we've learned. We just need to do it  
10      broader. And we need to do it in a more  
11      standardized approach. It's not that we haven't  
12      gotten smart people who've figured out how to do  
13      some of this. But we're not looking at things as  
14      a system. We're looking at things on storage.  
15      We're looking at things on home automation. We're  
16      looking at things on, you know, we're not thinking  
17      of it, that this is a system and all these devices  
18      interact and play a part on the distribution side  
19      with regard to grid stability, reliability, and  
20      resiliency with the advent of Distributed Energy  
21      Resources.

22                   MR. CERF: Can we at least isolate all

1       that stuff from the public internet? I mean, I  
2       don't care if they use the TCP/IP protocols.  
3       That's fine. It's just that it shouldn't be part  
4       of the public grid.

5               MS. ALLAN: Yeah. I don't think I hear  
6       anybody out there asserting, let's put it over the  
7       public internet. I think you've -- your  
8       interpretation of IOT, you jump to public  
9       internet. Most of the communication paths are  
10      subnets within the -- or private networks. They  
11      -- I don't know of any of our North America  
12      utilities who are pushing out communications to  
13      field devices over the public.

14             MR. CERF: No. That's -- that's not the  
15      point I'm trying to make.

16             MS. SANDERS: It's in -- it's in future  
17      use cases for sure. Sorry to interrupt. It's  
18      contemplated. Because those devices connect to  
19      the -- to the public internet. And by the virtue  
20      of the fact that they connect, and we have demand  
21      response, and you want all of these things.  
22      They're there. Now, we from the utility, do have

1       secured communications. Right? Between our  
2       devices. But as you start to rely on other  
3       devices, and the other networks of all the  
4       inverter companies or the solar companies or  
5       whatever. We've got to figure this one out. And  
6       I'm just, you know, we have a lot of investment in  
7       cyber-security. In physical grid configuration  
8       that disconnects and so forth. But, if you have a  
9       mass amount of all of this going off at once, I  
10      mean, you can only protect yourself so much. So,  
11      I -- I just don't know.

12               MR. CERF: Well, this gets back to my  
13      desire to find a defensive posture somehow, while  
14      all this stuff is going on.

15               MR. CENTOLELLA: Okay. Let's continue  
16      with the questions. Rolf?

17               MR. NORDSTROM: Yeah. So, first of all,  
18      thank you for a really excellent panel. I love  
19      the fact that we have the whole continuum there.  
20      From nothing should be connected to the electric  
21      system, to lot of things are already connected to  
22      the electric system to, we should connect more

1 things. Or can connect more things. Who can  
2 blame Heather for being a little freaked out over  
3 that? (Laughter) It feels like a -- it's sort of  
4 like telling a family, you know, parents of 11,  
5 whatever you do, don't have kids.

6 (Laughter) So, I'm wondering, this  
7 is for Mr. Cerf, but anybody please  
8 weigh in. I mean, I really  
9 actually appreciate the abundance  
10 of caution that it seems like you  
11 bring to this. Is there some  
12 subset of devices that you can  
13 imagine being safely connected to  
14 the electric grid? Either now or  
15 ever? Understanding the  
16 conversation we've already had.  
17 Which is that, in a way, the ship  
18 has sailed. But I'm -- I'm just  
19 interested, I guess, I heard you  
20 say that so categorically, that I'm  
21 just wanting to test how  
22 categorical, in fact, you feel

1                   about that? Or can you, in your  
2                   mind's eye, can you imagine a set  
3                   of conditions in which we could do  
4                   it?

5                   MR. CERF: So, in keeping with my  
6                   defensive posture, if a device is going to be  
7                   intimately connected to the grid, I would feel a  
8                   lot more comfortable if I thought that it would  
9                   not permit the passage of control, or other  
10                  information from the public internet to the grid,  
11                  on the presumption that some of those devices are  
12                  advantageously connected to the public internet.  
13                  Because, people want to see what their state is.  
14                  Or control them remotely. If the energy  
15                  companies, the distribution power and generation  
16                  and distribution companies, have a well-defined  
17                  access control strategy and implementation. And  
18                  if it gets implemented in those devices that have  
19                  to be part of the grid, what I would like is that  
20                  that mechanism, that access control mechanism, not  
21                  be penetrable from any other direction. And so,  
22                  if there are, in fact, devices that want to --

1       whose state wants to be known, you know, through  
2       the mobile or whatever, I'd like it to be the case  
3       that there is an absolute barrier in communication  
4       from the side that's talking to your mobile and  
5       the side that's talking to the grid.

6               MR. VREESWIJK: Thank you.

7               MR. LAZAR: But one of the things that  
8       makes it cost effective to put grid integrated  
9       water heating into an apartment complex, is the  
10      fact that the building has building wide WiFi, to  
11      allow us to communicate to those water heaters.  
12      We don't need to build a second communication  
13      system. And --.

14              MR. CERF: I'm sorry. We don't need to  
15      build a second communication system.

16              MR. LAZAR: Right.

17              MR. CERF: I thought you already had  
18      one. I thought that the power --.

19              MR. LAZAR: The building wide WiFi for  
20      the public internet. And that's how we're  
21      communicating to the individual water heaters to  
22      turn on and off.

1                   MR. CERF: Oh.

2                   MR. LAZAR: And we have to install a  
3 parallel communication system. We've doubled the  
4 cost of the control system.

5                   MR. CERF: Several bad words occur to me  
6 right now.

7                   (Laughter) So, the question is, if  
8 you have this shared communication  
9 resource, how do you make sure that  
10 the water heater, for example, is  
11 not compromised? Look, let me  
12 mention one thing about the  
13 original internet design that might  
14 be relevant here. We didn't start  
15 out with fire walls at all. We  
16 started out with edge devices on  
17 the net. And a fully connected  
18 system. Deliberately, because we  
19 didn't know what would usefully  
20 talk to what else that we said  
21 opened it up. But at the same time  
22 we said that, we said, by the way,



1           if you don't want to talk to  
2           somebody, you don't have to. And  
3           if you demand that there's somebody  
4           on the other end authenticate  
5           themselves, to your satisfaction.  
6           And then if they don't, you can  
7           say, I'm not talking to you. Now  
8           that doesn't deal with the other  
9           problem where a package shows up,  
10          and it's got some funny little bits  
11          on. And your software misses the,  
12          you know, doesn't understand what  
13          to do, and you get penetrated.  
14          That's a different problem. But,  
15          it's conceivable to use the shared  
16          communication resource, if there is  
17          strong enough authentication to  
18          prevent the obvious problem.

19               MS. ALLAN: So, you're changing your  
20   position?

21               MR. CERF: No I'm not. I'm saying, he's  
22   forcing me into a different position. But we're

1       back to relying on the strong authentication. And  
2       anybody who's ever discovered or penetrated  
3       certificate authority, should be nervous at this  
4       point.

5                   MR. CENTOLELLA: Okay. Merwin.

6                   MR. BROWN: I'm Merwin Brown, of the  
7       University of California, Berkeley. I'm going to  
8       ask some questions similar to what's been asked,  
9       but in a different vein. And, where I'm heading  
10      for, is some advice on what we or DOE should be  
11      focusing on for the future. The developments.  
12      And to do that, ask this question I'm going to get  
13      to in a minute, I would like to offer, but I'm not  
14      sure, well it matters whether or not the customer  
15      devices are connected or not, to the control  
16      systems or grid, because as long as those devices  
17      themselves, such as a thermostat, can be breached,  
18      I can think of ways to bring the grid down without  
19      ever getting into the grid control system. Such  
20      as, turning on every air conditioner in the L.A.  
21      basin at one time. That kind of thing. So, I'd  
22      have to use some with more imagination. But, it's

1       conceivable that, it's sort of as similar to, I  
2       guess, flooding the internet with lots of data.  
3       This would be a similar kind of thing. You're  
4       flooding the system with a lot of demand. Or you  
5       turn the demand off all of a sudden. So, that  
6       unto itself, the customers wouldn't even have to  
7       be connected to the utility. But that aside, if  
8       you'll accept that some way or another, we're  
9       going to have this kind of interconnection of  
10      devices that are subject to cyber-security  
11      threats. What I'd like to ask you is, I can think  
12      of some potential solutions. And it's, which of  
13      these solutions, if you had to pick one, which one  
14      would you pursue? The one is, I think, obvious.  
15      We would be able to make every device secure from  
16      a cyber-attack. That frankly doesn't sound very  
17      promising, what you said, but nonetheless, that's  
18      a potential solution. Another solution that is  
19      sort of been - - as a matter of fact, it's been  
20      sort of -- what's being proposed, I'm not sure  
21      they know what they're doing, but there's a  
22      Senate, a U.S. Senate Subcommittee right now,

1       that's -- has a bill at the moment. That they  
2       said, they're going to pass a law that says, the  
3       grid has to be operable without the Smarts. In  
4       other words, if you get into trouble, you have to  
5       be able to operate the grid manually. And,  
6       they're patterning this after what happened with  
7       the cyber-attack to, oh shoot, I can't think of  
8       the place now.

9                 CHAIR TIERNEY: Ukraine.

10                MR. BROWN: Ukraine. Yeah, thank you.  
11       And, so that's kind of another extreme. Is that  
12       we designed the grid so fail safes, if the Smart  
13       systems are completely compromised. That has a  
14       lot of challenges too. And then there's another  
15       possibility, which we happened to be involved in  
16       at our research area, by the way. So, but I'm not  
17       saying I have a bias or just --. Is, you're able  
18       to detect a cyber-threat activity fast enough,  
19       that you can take defensive actions to isolate  
20       them. And limit the damage that can be done. So,  
21       the three systems. Okay, I guess you're shaking  
22       your head. Of those three, which one would you

1       pursue if --?

2                   MR. CERF: I would discard the last one  
3       on the grounds that the cyber-attacks may actually  
4       be quite subtle. And deposit software, for  
5       example, that eventually goes off because of a  
6       timer or something else. So that the actual  
7       attack is not the one that installed the malware.  
8       It's the malware executing later on. So, I would  
9       not go for that. Let's think for a minute about  
10      the meter system. This is something Sharon knows  
11      a lot about. The meters, first order, trying to  
12      keep track of how much energy we're using. The  
13      first order. There's also the possibility of  
14      demand response. But you can imagine a box, in  
15      the house, which isn't the meter, or maybe it's  
16      incorporated into the meter. Which is providing  
17      information to the appliances that are in the  
18      house. And if those appliances are smart enough,  
19      they can take the advice and decide what to do  
20      with it. Now, the complexity of configuring all  
21      this, you know, for ordinary users, might turn out  
22      to be difficult. But then, that creates new jobs

1       for people whose job it is to configure your house  
2       for management, so maybe that would be a good  
3       thing. More jobs. So the idea, in this case,  
4       would be to have a device, which we trust, which  
5       has, you know, tamper resistant design. And  
6       strong authentication. So that the device can't  
7       -- will refuse any information that it gets from  
8       the grid provider, that isn't authenticatable.  
9       And, that's the moral equivalent of the secured  
10      meter that I understood Sharon was describing, of  
11      which there are 65 million now. So, that device  
12      is now the thing which secures the communication  
13      between the power generation and distribution and,  
14      you know, energy provider. And the devices that  
15      are in the house. In parallel with the meter  
16      itself. So, and Sharon, how do you react to that?

17               MS. ALLAN: Using the meter analogy, and  
18      one of the things that you said, is that the grid  
19      needs, you know, the bill of -- the grid needs to  
20      be able to be controlled manually. It reminds me  
21      of some of the legislation that's on the books  
22      today, when we first moved to Smart metering. So

1       in a Smart meter, you know, the roughly \$100 is  
2       about \$14 for the metrology part. One of the very  
3       material costly parts of the meter is the actual  
4       display, which is about \$2.50. And even though,  
5       if the communications broke, the metrology and all  
6       the recording data is still in the meter. And you  
7       can go read it via optical port. Next day, man in  
8       the boots. Next day, 3 days, 30, 45 days later,  
9       we're still required as a nation, to have a  
10      display on the meter. Which is very material if  
11      you think of the cost. To me, that's the same  
12      analogy of saying, oh, you've still got to be able  
13      to operate the grid manually, should all  
14      technology fail. That seems to be --

15               MR. CERF:   So --

16               MS. ALLAN:  -- an extreme.

17               MR. CERF:  -- so this is interesting. I  
18      wish you'd been at my meeting this morning,  
19      because this same kind of question came up. And,  
20      the response was, after -- after we were talking  
21      about various and some fragilities, brittleness  
22      and potential hazards, it was asserted that, for

1 all of the complexity and fancy things that we  
2 designed, what happens if all the power goes out?  
3 We still have to have the ability to do other  
4 things. And we have to have a back-up. A low  
5 tech kind of back-up. So, I can kind of  
6 understand where that might be coming from.  
7 Although, if the power's out, at this point,  
8 looking at the meter isn't going to help you very  
9 much, is it? So maybe that's not one of the low  
10 tech things that we have to hang on to.

11 MS. ALLAN: Yeah, I mean, technology is  
12 evolving. Our lives are different today than they  
13 were even five years ago. I mean, most people --  
14 we didn't have smart phones five, six years ago.

15 MR. CERF: More like 10.

16 MS. ALLAN: So, when you start to think  
17 about the utility of the future moving forward, is  
18 one less technology enabled. It is. And if  
19 there's anybody in this room who doesn't believe  
20 that then, you know, all I can say is wait and  
21 see. It is technology enabled. I think we set  
22 the aspiration of trying to protect the devices on



1     the field that, you know, obviously nobody doesn't  
2     try. We try to the best of our ability. We have  
3     risk mitigation plans. And we have cyber  
4     frameworks that go and access our assets that, if  
5     certain ones are breached or failed, which are the  
6     top priorities. So we do a little bit extra due  
7     diligence around there. And you do your best to  
8     try and mitigate. But, you know, you have the  
9     aspiration of trying to secure every device. The  
10    fact that, if something is breached, then your  
11    next step is to mitigate it as to minimize the  
12    impact as much as possible.

13               MR. CENTOLELLA: Just briefly Vint.  
14    Does your secure energy box work in a system where  
15    you have to have laminate controls and some of the  
16    data exchanges are happening at a very distributed  
17    layer within the grid?

18               MR. CERF: I'm sorry --.

19               MR. CENTOLELLA: They -- you had this  
20    idea of sort of the secure gateway. The secure  
21    energy box. Does that work in a system where you  
22    have laminate architecture and you have lots of

1 control happening at a very distributed layer, and  
2 not going back up to a central authentication?

3 MR. CERF: One of the authentication  
4 presumably has to operate at a fairly high level  
5 in the architecture, in order to strongly  
6 authenticate the content that's being generated in  
7 the exchange. So, it would be a mistake to  
8 imagine that security mechanisms can only be in --  
9 implemented in one layer of the architecture. In  
10 fact, you see it requiring -- it's required in  
11 several different layers in most of these systems.

12 MR. CENTOLELLA: Okay. Carl.

13 MR. ZICHELLA: Okay.

14 MR. BROWN: Oh. May I add a comment?

15 MR. CENTOLELLA: Sure.

16 MR. BROWN: On the measurement system I  
17 mentioned, it actually, one of its mechanism is an  
18 authentication type thing. In other words, the  
19 measurement system doesn't rely on the actual  
20 integrated system. What it's doing is monitoring  
21 the integrated system for behavior that doesn't  
22 make sense with the data that's coming out of the

1 integrated system. So it is an authentication  
2 type process. The secret to it is how fast you  
3 can detect the change. And can you move fast  
4 enough to do something about it. That's where the  
5 big research question is I think. So in a sense,  
6 it can do what you just said. That is how it  
7 works. So, for what --. But, what I didn't  
8 really hear, was -- is there a clear direction on  
9 where DOE should put their research? I --  
10 somewhere in your comments, can --? You know,  
11 would you work on making things more secure?  
12 Would you work on being able to have a system  
13 that's very flexible? Can adapt to attack, to  
14 minimize --? Or, can we come up with a system  
15 that we can turn off all of the Smart stuff and go  
16 to a manual mode and run this thing? So, maybe  
17 that's an unfair question to actually to ask that.  
18 But I thought it would be fun anyway to see if you  
19 could pick one.

20 MR. CERF: Well, I can tell you my wife  
21 would resonate with this, because I have a bunch  
22 of (inaudible) stuff in the house. And she's an

1       artist. And she wants to have the -- as a  
2       back-up, the switches that turn off and on and do  
3       what she wants them to do. And none of this  
4       poking the buttons and programming and everything  
5       else. And when it doesn't work, I have to bring a  
6       guy in from 100 miles away to reprogram it,  
7       because I don't have time to do it myself. So the  
8       back-up, simple stuff, is pretty attractive.

9               MR. CENTOLELLA: Carl.

10              MR. ZICHELLA: Thank you. Terrific  
11       panel. It is somewhat terrifying, when you look  
12       at the magnitude of this and how fast it's  
13       changing. I have to say Frans, I'm somewhat  
14       delighted and terrified both that you think our  
15       utilities are more nimble than your European  
16       counterpart. That's not saying a lot, as was  
17       mentioned earlier. But I think, you know, my  
18       question is more about the standard  
19       transferability. We're getting devices and  
20       equipment from all over the world. Manufacturers  
21       located all over the world, developing products  
22       for every market in the world. Our standards

1       development, similar throughout other parts of the  
2       world right now, is there some coordination on  
3       standards in EU or Asia or whatever? It does seem  
4       to me that we need to be able to have some  
5       consistency among the protocols in these things  
6       for security. And then, you know, that leads to  
7       another questions. Because, as quickly as things  
8       develop, you know, there are people who are  
9       spending every hour of every day trying to figure  
10      out how to defeat them. So is it even desirable  
11      to have all our eggs in one basket standards wise?  
12      Or is it more useful to have a more diverse  
13      approach? So, standardized and universal? Or,  
14      somewhat more compartmentalized?

15               MR. CERF: So, let me use an analogy and  
16      see if it helps. In the layered architecture,  
17      sometimes by establishing a very uniform and  
18      sustainable interface, you can get away with doing  
19      a bunch of stuff below that level. So in the case  
20      of the internet protocol, if you don't mind my  
21      using that as an example, below that level, all  
22      kinds of different communication systems have been

1     able to support the transporter IP packets. The  
2     applications above the layer of IP don't know  
3     anything about how this stuff is being  
4     transported. And they don't care, because that  
5     layer has been stable for a long time, not  
6     counting the hair raising IPV4 to IPV6 transition  
7     that we're in the middle of. And which IOT, by  
8     the way, is going to drive, because we need a  
9     larger address base. So what could be good for us  
10    is to establish some standards below which  
11    variation is easily accommodated. And there might  
12    be several different places in these architectures  
13    where such stabilization would be beneficial  
14    because it isolates implementations from each  
15    other. So, if I were trying to cope with what  
16    Sharon is coping with, and what Frans is coping  
17    with, I would be trying to get the architects to  
18    identify places in this layered architecture where  
19    we should all try really hard to come to a common  
20    standard. And suffer whatever variations there  
21    are in places that are less painful to suffer  
22    them.

1                   MR. CENTOTELLA: Frans, do you have some  
2           ideas what that common standard might be?

3                   MR. VREESWIJK: Yeah. Yeah, I think  
4           what you just said is very -- very logical. And  
5           what you just brought to the table is, yes, I  
6           think the fact that, as I mentioned in my  
7           presentation, manufacturers are global  
8           manufacturers. And we saw after Sandy that, you  
9           know, spare parts had to be shipped from all  
10          around the world, because there was nothing  
11          available here. And that type of issue wanted to  
12          think through when designing or redesigning or  
13          upgrading the grids I think. And having,  
14          therefore, and there is a lot of discussion  
15          between utilities. There is a lot of discussion  
16          between all the stakeholders in the IEC on all  
17          these. So, I think that is definitely a platform,  
18          where at least, you know, it is strived for to  
19          achieve a position and get standards that are  
20          applicable everywhere. So the manufacturers can  
21          make products that fit one onto the other, so to  
22          speak. And can replicate each other if something

1       breaks down. Or it gets all the outages. And I  
2       think the architecture and I think Sharon also  
3       mentioned it, it is a system. That means you have  
4       to think about it as a system. And, as the Smart  
5       Grid is a system, what I showed you, you can think  
6       about everything has to be a very big system.  
7       Now, I know that's daunting. And that's on  
8       purpose. We put it that way. But, it's also  
9       important, I think, to open up our minds to say,  
10      okay, but what does it mean? And I think, Vint,  
11      you mentioned a lot of good things that, you know,  
12      there will be issues. And you can take solutions  
13      to deal with the issues and this way and going  
14      that way. And as Merwin asked, what is the best  
15      way? Personally, I don't know. As I said, I'm  
16      not the specialist, I'm a generalist. I can  
17      imagine the ambition is to make everything secure,  
18      would be the best. And even then, it will never  
19      be 100 percent as I mentioned. And I think here,  
20      also, a policy maker, regulator has to say, but we  
21      should strive for 99.99 percent. Or something  
22      like that. Whatever way you -- but you have to --



1     you have to make it measurable. Smart, so that,  
2     you know, the industry, the ecosystem, can work  
3     with it. Because if you don't do that as a  
4     regulator, then, you know, you leave it up. And  
5     then, you know, okay, solutions that are 97  
6     percent are then fine enough, right, if you don't  
7     define it. So, there are things to do. But you  
8     have to do it together. And you have to create  
9     the awareness together that this is a big thing.  
10    And our world is changing. And one thing we all  
11    know, I think, because we're all educated, is you  
12    cannot stop innovation. You know, even though  
13    technology push, we don't always make it in the  
14    market place. The technology will be developed,  
15    you know. And so, it will come at you. Sorry, if  
16    I'm getting too enthusiastic. Sorry.

17               MR. ZICHELLA: Well, I like the idea of  
18    having some sort of a common layers within the  
19    architecture that can act somewhat as firewalls.  
20    Because they're the stable layers. You can have  
21    innovation below that level. But there is a way  
22    to actually insulate the rest of the system. And

1       it built into it, to actually occur. We've seen  
2       many ways to get at this technology. And someone  
3       else mentioned, maybe it was Vint, you know,  
4       simple things can be hacked at, or Merwin made  
5       allusion to this too. I mean, it's a good  
6       example. Clocks and synchrophasors, for example.  
7       Keep the costs low, as Sharon was saying. You  
8       know, we need to use lower cost components. Try  
9       to make it more universal. But here's a low cost  
10      component that could be easily changed externally,  
11      and could actually feed false information into the  
12      system about what was happening. You know, there  
13      are going to be vulnerabilities like that that  
14      always turn up. But you have to have a way to  
15      insulate the rest of the system from that.

16               MR. CENTOLELLA: Sue.

17               CHAIR TIERNEY: So I have a ridiculous  
18      thing and then a -- an equally ridiculous  
19      question, because it's -- I wonder how you solve  
20      this problem. The ridiculous one is, how simple  
21      it was when I was younger and my children only  
22      hacked their Nerf guns, to overcome the safety

1 things to make them powerful at age six. And they  
2 could do that. So this really scares me. Really  
3 scares me, what you're talking about. I'm with  
4 you Heather. So, who really has to like do  
5 something about this problem? (Laughter) Yes.  
6 Like, who's in charge? It would worry me if  
7 Congress were in charge. (Laughter) Seriously.  
8 So, you know, in the electric side, we have a  
9 system where we have layers of, Congress gave to a  
10 regulator the enforcement power, and then by  
11 delegation, there was an industry standards  
12 setting process for reliability. But, like who  
13 are those players here? Are there institutions?  
14 Because, I do not trust this marketplace of little  
15 six year olds being able, much less, nefarious  
16 characters, being able to get through all of this.  
17 So, would you answer the question, who can do  
18 something about this?

19 MS. ALLAN: You know, it reminds me of,  
20 let's see, when was it? The year 2000, coming up  
21 and testifying before FERC. Suede Kelly was on  
22 FERC at the time. And we were talking about the

1       early days of deploying Smart meters. And I heard  
2       all the same things. Oh my God, because now it's  
3       no longer just monitoring and measure. It's a  
4       control device. There's a switch in there, and  
5       people are nefarious. People are going to hack in  
6       and disconnect meters and connect them. And then  
7       we're going to have voltage instability all over  
8       the nation. And, oh my God, we've got connected  
9       meters. There's going to be a cyber-security  
10      breach. And we're going to have a complete  
11      black-out in a state. And I would say, how many  
12      hacks have we had of those 65 million AMI meters  
13      that we've deployed?

14               CHAIR TIERNEY: New Year's issue.

15               MS. ALLAN: It's not. But we're talking  
16      about a Smart device that was a meter. Now we're  
17      talking about Smart devices called inverters. Now  
18      we're talking about Smart devices called EV  
19      charging stations. What are they made of?  
20      They're made of memory. Microprocessor  
21      communication technology that you have to put keys  
22      in. You have to authenticate and you have to

1       commission. Yes, they're different devices. But  
2       guess what? The components of an inverter. The  
3       components of an RTU. The components of a relay.  
4       A lot of them are very similar components to what  
5       you have in a meter. We're talking about memory,  
6       and operating systems and communications. And,  
7       there's lessons to be learned. Yes, meters are  
8       not that most glamorous thing. But we've put 65  
9       million of them out here in North America and  
10      they're communicating. And we haven't had  
11      anything hit the Wall Street Journal or any major  
12      press, about someone hacking them and turning off  
13      the electricity to houses. Now, I don't want to  
14      be tongue and cheek to say that it doesn't mean we  
15      don't to be prudent. But some of the, how you go  
16      about encrypting, authenticating, commissioning.  
17      Those similar processes, we need to expand the  
18      thinking of, what I think, Mr. Morgan said, well,  
19      what are the key one's that we need to look at? I  
20      think there are priority devices. So you don't  
21      initially go out. And it's easy to find those  
22      priority devices. One you can look at from your

1 cyber-security frameworks, of which many of the  
2 utilities have been doing as a result of, you  
3 know, the various, uses, of looking at and  
4 changing what's the category of critical assets.  
5 And then, some of them have been broader than just  
6 critical assets, to say, what are key assets on  
7 our distribution line? So I think our utilities  
8 have some insight into what those priorities of  
9 assets are. I'm not standing here to tell you  
10 there's not something that we need to not be  
11 diligent and prudent and do more work at. But, I  
12 also don't believe, you know, we need to say, oh  
13 my God, I'm so fearful, we should not have made  
14 anything.

15 MR. CERF: So now, let's fight. How  
16 many different manufacturers of those Smart meters  
17 are there?

18 MS. ALLAN: In North America, there are  
19 five.

20 MR. CERF: Okay. So, I would argue that  
21 there are a lot more than five makers of IOT  
22 devices around the world. And there will be 50

1 billion of them or something, in the next 20  
2 years. So, let's be careful about scaling. Five  
3 manufacturers --.

4 MS. ALLAN: Hold there. Let's talk  
5 about grid equipment. Not all the home things,  
6 you know.

7 MR. CERF: I understand. I understand.  
8 But that's --.

9 MS. ALLAN: How many manufacturers are  
10 there of relays in the U.S.?

11 MR. CERF: Hang on.

12 MS. ALLAN: Five.

13 MR. CERF: Yes. But I want to be really  
14 careful not to allow this conversation to conclude  
15 that you're okay on the grid devices. And,  
16 therefore, make the conclusion that everything  
17 else is okay too. It isn't. So, on the grid  
18 device case, if there are a limited number of  
19 manufacturers, and you can make them sustain, you  
20 know, the effort required for commissioning and  
21 security. That's a lot more believable than  
22 dealing with 50 billion devices made all over the

1 world. So, now let's focus on the grid extension  
2 that you're arguing for. I don't know whether any  
3 of those devices have ever had to be rekeyed. So  
4 an interesting question is something that's in the  
5 internet world, has been bothering me for a long  
6 time. We started signing the domain name, the  
7 root zone of the domain name system. You know,  
8 the dot com, dot net, dot org and everything else.  
9 That digital signature has never been rolled over  
10 in the last six years. And a lot of us are  
11 nervous that we don't know what will happen if we  
12 do it. So, there's this big plan now to try to do  
13 that. Because we want to be able to update the  
14 digital signature at some point. Because running  
15 for too long with one variable, is a big issue.  
16 So, I guess the question I have for you, is  
17 whether you've ever had the experience of having  
18 to rekey it? Any significant fraction of all  
19 those meters?

20 MS. ALLAN: So it's -- I think it's a  
21 fair question. And, to my knowledge, and I'm no  
22 longer in the weeds as close to it, I do not



1 believe so. But today's session, I believe what  
2 we were to come to talk about, are what are  
3 suggestions and area focus for DOE around that.  
4 So, yes. When I talk about what is more work?  
5 How do we do more work around roots of trust  
6 authentication commissioning of multiple devices  
7 at scale. I think that's where we're -- that's  
8 where further effort leveraging national labs in  
9 collaboration with industry, need to look at that.  
10 Because we have to be able to do that.

11 MR. CERF: Yeah.

12 MS. ALLAN: And do that at scale. And I  
13 think there's work to be done there.

14 MR. CENTOLELLA: Pat.

15 MS. HOFFMAN: So, as I was listening to  
16 this conversation, I was thinking about a couple  
17 of things. At the end of the day, we're not going  
18 to be 100 percent secure. So, really what we're  
19 going after, is a risk mitigation strategy. And  
20 what really needs to happen to have -- allow for  
21 an entity, whether it's consumer or whether they  
22 choose to read the material or not, is their

1 choice. But a utility or a telecommunication  
2 company or Google itself, what would you want to  
3 have to be able to look at your risk mitigation  
4 strategy, and think about it from that  
5 perspective? I mean, from DOE's perspective, in  
6 order to help the utilities. We work with  
7 utilities on a cybersecurity capability maturity  
8 model. Which was basically to help look at some  
9 of the risk. Look at what authentication was in  
10 there. Evaluate your level of maturity with  
11 respect to authentication. So, some of those  
12 tools are out there. But at the end of the day, I  
13 keep moving towards the timeframe, or the frame of  
14 not only having device testing, but looking at  
15 systems testing. And then having some sort of  
16 responsible disclosure to the person that either  
17 has the product. Owns the products. Buying the  
18 products. You think about it from the medicine  
19 analysis that, you know, you've been told to go  
20 take this medicine, and you get this sheet of  
21 paper that says, these are the potential  
22 vulnerabilities. Or side effects that may occur

1 from the medicine. But it's almost like, you  
2 still need to have that. Because then at least  
3 you're evaluating the risk to yourself. And I  
4 think we've got to think about how do we move this  
5 into the risk conversation? And so that's my first  
6 question, is if -- do you have any recommendations  
7 or thoughts along those lines? The second is,  
8 just the whole market of how do we value security?  
9 I was curious, Vinton, from your presentation, you  
10 talked about some of the changes Google made, as a  
11 result of some of, I think, the events or issues  
12 that you've seen. And, does -- is there a way to  
13 make security investments valued in the market  
14 place? Because of the challenge and the issue is  
15 that security investments aren't valued. And  
16 we're in a competitive market in some of the  
17 regions of the country, that it's the least cost  
18 solutions. But yet, you don't want to gold plate  
19 the system. And so it goes -- it's tying those  
20 risk assessments or that risk evaluation, to how  
21 do you deal with markets? And I'd like your  
22 thoughts.

1                   MR. CERF: So, let me start out with the  
2 first question. I think that what would -- our  
3 focus has been largely to protect to the  
4 consumers. To protect their privacy and safety.  
5 And so, the devices that we make and that are made  
6 by the Alphabet companies have, as a very high  
7 priority, assuring that they won't get penetrated.  
8 They won't get, you know, abused by some third  
9 party somewhere. I still think that we have a lot  
10 of work to do to make them habitable. You know,  
11 if we're really trying to exercise access control,  
12 you know, in a way that's comfortable, convenient  
13 and effective, I still think we have work to do.  
14 But the focus of attention has been largely  
15 protecting a homeowner who has put these devices  
16 in their homes. I think a separate issue, and one  
17 which I hope that the power industry will accept,  
18 is to adopt a very defensive position with regard  
19 to uncontrollable electrical devices that may, in  
20 fact, have been penetrated and turned into a  
21 Botnet or under the -- be under the control of the  
22 Botnet herder. Just like the Mirai problem. And

1     that preparing for the worst cases, you somehow  
2     can decouple a particular house or a collection of  
3     houses that have been penetrated from the rest of  
4     the grid. And so, and to similarly as Sharon was  
5     pointing out, if we're going to extend the devices  
6     that are -- we consider part of the grid, whether  
7     it's a home storage unit, or, you know, other  
8     power generation devices, that we somehow treat  
9     those distinctly, because they are becoming part  
10    of the grid from the consumer devices that may  
11    consumer power. And so, I would try to separate  
12    some of these things into different categories.  
13    And address them that way. Now I have to go and  
14    look at your second question, because --. Oh, the  
15    value security. I must confess to you that people  
16    have not shown much interest in security. After  
17    our -- in 2010 penetration by, what we believe was  
18    a Chinese source, we immediately began encrypting  
19    everything on the network. At rest and in  
20    transit. And we issued two factor authentication  
21    keys to every employee. And we made those  
22    available to the general public. As far as I

1     know, they're a very modest percentage of the  
2     consumer accounts at Google, are using two factor  
3     authentication. There's a certain amount of  
4     inconvenience associated with security. I don't  
5     have -- as an academic, a reformer academic, I  
6     keep wondering, is there an irreducible amount of  
7     inconvenience associated with good security? And  
8     how would you measure that? Well, so the honest  
9     answer is, that I think most people are hoping  
10    that, if it didn't happen to them, then it won't  
11    happen to them. Or it won't happen to me. It  
12    happened to my, you know, my friend. And -- or  
13    they're hoping that, you know, people like you and  
14    me and others, will somehow take care of this  
15    problem, so they don't have to worry about it.  
16    And I don't know of a good way --. Look at all  
17    the headlines. Look at the OMB penetration. Look  
18    at Walmart. Or Target, I guess, is the one that  
19    --. Sorry. Somehow, it doesn't penetrate. And  
20    the thing that is truly annoying about all this,  
21    is that what happens is, you get a note from OMB  
22    saying, all of your data about your top secret

1 clearances and everything else, has been spilled  
2 to the Chinese. We're going to monitor your  
3 credit cards for you for the next year and a half.

4 (Laughter) Wow. Great. I feel so  
5 much better. So, I don't know what  
6 the magic is. Now, since you  
7 reviewed your responsibilities at  
8 the beginning of this meeting, I  
9 thought you were in charge.

10 (Laughter)

11 CHAIR TIERNEY: One more question.

12 MR. HOFFMAN: I am. But, at the end of  
13 the day, the utilities are still in charge.

14 (Laughter)

15 MR. CENTOLELLA: So, Susan informed me  
16 we can take one more question. We have three  
17 cards up. Would you like to raffle this off?  
18 Jim, you've had a chance already, so Paula. If  
19 that's okay?

20 MS. CARMODY: Thanks. I think this is  
21 like the third time I've been like the last -- the  
22 last question.

1                   (Laughter) And a lot -- and I --  
2                   this panel has been really  
3                   wonderful. And for me, you know, I  
4                   guess, I would be focusing things  
5                   more on Vint, because since I  
6                   represent residential consumers and  
7                   those consumer device issues are,  
8                   you know, of concern. That is  
9                   really my focus. I do think that  
10                  there is a real distinction when  
11                  we're talking about, what is  
12                  controllable with utility and those  
13                  issues? And manageable. And I  
14                  would tend to be more optimistic  
15                  about handling those issues. But,  
16                  for the past few years, this whole  
17                  issue of the consumer devices, and  
18                  kind of what is being pushed, at  
19                  least as an idea, or a possibility  
20                  for households, really does seem to  
21                  concern me. Because, consumers  
22                  don't know. And you cannot expect



1           them to respond to safety issues.  
2           Disclosures. Anything like this.  
3           They are relying on -- and this  
4           goes back to who? Who is  
5           overseeing this? Are they relying  
6           on the manufacturers of the  
7           devices, to make this secure? And  
8           I use secure, you know, secure,  
9           both in the sense of breaching, you  
10          know, the system. The resilience  
11          reliability. But also privacy. I  
12          think, Vint, you have mentioned  
13          this. But it really kind of gets  
14          lost. And it seems to me that the  
15          privacy issue has to be worked on  
16          at the same time as the resiliency  
17          and reliability, when you're  
18          looking at security. And I think  
19          it gets kind of, you know, sort of  
20          passed. But I really do think, you  
21          know, Sue's question, who is  
22          overseeing this? When you're

1 looking at, in particular, the  
2 consumer devices. You've got the  
3 manufacturers. You've got the  
4 standards. But the standards are  
5 voluntary. So, is it the utilities  
6 that are going to enter the space  
7 and somehow exercise control over  
8 consumers' devices that are going  
9 to be able to manage? Is it the  
10 state commissions that are going  
11 direct the utilities to do this?  
12 Is it a state, you know, some other  
13 state agency or federal agency?  
14 And, the reason I bring -- I do  
15 think that this is important, is  
16 because, it goes back to the point  
17 the Chairman was making, things are  
18 moving very quickly. And I've seen  
19 a lot of spaces with things being  
20 sold to our consumers. Energy  
21 supply and related things. Home  
22 management systems. All of that

1 stuff is moving at a pace, in terms  
2 of conversations from the company  
3 to the consumer. And is that going  
4 to move more quickly than the  
5 standards? Is it going to move  
6 more quickly than deciding who has  
7 oversight over this? And folks  
8 aren't going to, you know, without  
9 their knowledge allow, you know,  
10 security lapses? Or allow privacy  
11 breaches? My big picture question  
12 is how, you know, while you're  
13 working on the technical issues.  
14 Whether you're working on the  
15 security issues. How do we manage  
16 those time elements? And I'm not  
17 sure that there's an answer. But,  
18 I think it is a concern. And, I  
19 guess, from my point of view, I'd  
20 like to call a time out on the less  
21 -- the low priority, you know,  
22 consumer devices. But I don't

1                   think that's going to happen. I do  
2                   agree with Sharon. It's going to  
3                   keep moving

4                   MR. CERF: Oh. From my point of view,  
5           privacy is just as important, as many of the other  
6           things that we've been talking about. And,  
7           unfortunately, we have mixed jurisdictions that  
8           have responsibility for various aspects of  
9           privacy. And we have HIPAA. We have PII and the  
10          like. What's interesting is that, most of those  
11          involve personally identifiable stuff. And, the  
12          thing which is not so clear, are the kinds of data  
13          that I mentioned earlier, about temperatures, for  
14          example. The fact that that data, if it could be  
15          associated with your home, could be used to invade  
16          the house. And, you know, and break in and so on.  
17          I consider that to be a breach of privacy too.  
18          And so, in this -- in that case, confidentiality  
19          of the information is important. And the question  
20          is, who should have access to it? I don't know  
21          that we have, as a government anyway, quite sorted  
22          out where responsibility should lie for the

1 protection of people's privacy, when it isn't  
2 specifically, you know, personally identifiable  
3 data. So, I don't have a good answer for you.  
4 Except to say that I'm as concerned as I think you  
5 are about that.

6 MR. CERF: I mean, I think, yeah, there  
7 with Sue, I was involved with the Department of  
8 Energy Voluntary Code of Conduct, which was a  
9 stakeholder work group a couple of years ago. And  
10 again, there was a voluntary standard set up for,  
11 you know, kind of third parties. So, if you've  
12 got utility data through the Smart meters, and  
13 somebody wants to give a third party energy  
14 management company access to it, these third party  
15 companies could agree to the set of principles.  
16 Put their little, you know, seal of approval up on  
17 their, you know, website and so forth. And say, I  
18 will abide by, I won't release this kind of  
19 information and so forth. But what strikes me as  
20 concerning, number one, is it voluntary relies on  
21 companies wanting to be, you know, seen as  
22 protecting privacy. And when you start looking at

1 consumer devices and products and the kinds of  
2 things that kind of multiply. I'm not, you know,  
3 I'm not quite sure that that's going to do it. It  
4 was extremely helpful and a really smart process.  
5 But it just strikes me that, somehow the  
6 discussion, when you're looking at developing  
7 security features, we kind of separate the  
8 conversation. The privacy conversation from the  
9 -- kind of the reliability and resilient security  
10 conversation. And I would just suggest, you know,  
11 how do we mesh that? Even within DOE itself,  
12 which has these kind of two kind of tracks.

13 MR. CERF: Just to make you feel worse,  
14 does anybody know here that it's possible to  
15 monitor the grid in the house, and figure out  
16 which devices are being turned off and turned on  
17 by their signature? And so, you can imagine,  
18 identifying a particular house, if you could  
19 observe it enough, you can actually figure out  
20 which house is the one that is producing the  
21 signal. So, yeah, this is a truly tricky issue to  
22 deal with. And I don't think we have a very good

1 legislative situation right now to cope with it.

2 MS. CARMODY: I would just like to  
3 interject. I mean, the Code of Conduct was a good  
4 start in the privacy conversation. But, it does  
5 come down to what -- how is it going to be  
6 utilized? How is it going to be deployed? You  
7 know, because from that, that went through the  
8 commissions and the State Commissions, and I think  
9 it, you know, there was the voluntary aspect of it  
10 that people looked at. But we have to think about  
11 what is the next steps on that? I should go back  
12 and clarify. I was referring to the FAST Act,  
13 with respect to the secretarial authority. With  
14 respect to the Internet of Things going back to  
15 who's in charge. At the end of the day, everybody  
16 has a responsibility on security and  
17 cyber-security. Well there's the developer of the  
18 product. Whether it's the standards organization.  
19 And, I'd be more comfortable at night, if  
20 everybody recognized cyber-security as part of  
21 their responsibilities and their role. And so  
22 that, going back to, how do we get the consumers

1 to value cyber- security? It has to be integral  
2 in every part of the product development cycle, as  
3 well as the deployment and market cycle.

4 MR. CERF: Mr. Chairman, I would like to  
5 offer to send you, if others would like to have a  
6 copy of a paper that my colleagues and I wrote  
7 called, "Securities -- A Shared Responsibility".  
8 Trying to convince people that, your security is  
9 just as dependent on my actions, as much as the --  
10 it is on your actions. And we still need to work  
11 pretty hard to get people to understand that.

12 MR. CENTOLELLA: Okay. Well, with that,  
13 I want to really thank this panel. I really  
14 appreciate the panel and all of the comments and  
15 questions. I think this has been a great  
16 discussion. So thank you all very much.

17 (Applause)

18 CHAIR TIERNEY: I'll add my thanks.  
19 That was -- this was one of the most thought  
20 provoking panels we've had. So thank you very  
21 much for your effort to get here. It was very,  
22 very helpful to us. We are going to take a 15



1 minute break. And then come back to the  
2 Transmission Distribution Interface issue and  
3 another great panel. Thank you.

4 MR. ZICHELLA: We have another panel.  
5 We want to make sure they get enough time to run  
6 through their topic. And as you can see from the  
7 slide, we've got five people that are going to be  
8 presenting for us this afternoon. So, this next  
9 panel is on the Transmission Distribution  
10 Interface, in the context of increasing  
11 distributed energy additions. John Adams is going  
12 to be leading this session. And I'm just going to  
13 hand it off to John. It's all yours John.

14 MR. ADAMS: Thank you. Just how we got  
15 to this topic, the Power Delivery Subcommittee has  
16 been aware, as everyone's been aware, of the  
17 changing technologies making power generation  
18 available down on the distribution system.  
19 There's examples across the world of different  
20 levels of deployment of new technologies. Germany  
21 certainly fully embraced distribution  
22 technologies. I wanted to get the opportunity to

1       say, that California is kind of slow in adopting  
2       this new technology relative to Germany.  
3       (Laughter) And we're behind them. But there's  
4       always -- there's been a question of, okay, now  
5       what happens at the Transmission Distribution  
6       Interface? DOE hasn't been ignoring this.  
7       They've got a lot of initiatives in this area.  
8       Sunshot. Storage. The Quadrennial Technology  
9       Review and Energy Review and Grid Modernization.  
10      So, there's been a lot going on. And DOE's been  
11      in the middle of it. But we want to -- we're  
12      interested in that narrow area of what happens  
13      between the silo of transmission and the silo of  
14      distribution. Our first impulse was to try and  
15      find out what's happening across the country,  
16      because believe it or not, things aren't done  
17      exactly the same in Texas as they're done in  
18      California. And it might even be different at  
19      Southern Company. I wouldn't know. So, we wanted  
20      to reach out to get people from across the country  
21      to talk about the topic. What's going on in their  
22      areas? Whether this is a problem. And what

1 exactly is going on. And we found that DOE has  
2 expertise in this area. Joe Paladino, Technical  
3 Advisor at the DOE Office of Electric Delivery and  
4 Energy Reliability, has a lot of background and  
5 has been leading efforts at the Department in  
6 energy infrastructure modernization. And trying  
7 to convey the impact of the Smart Grid upon the  
8 infrastructure to everyone on what is changing.  
9 And so we've asked Joe to moderate a panel of  
10 people from around the country. Experts from --  
11 well, Lorenzo from California. Has worked as  
12 Principal of Market and Infrastructure at  
13 California ISO. He was the lead engineer in their  
14 LMP effort. Is very knowledgeable of this  
15 subject. He's frankly probably the primo example  
16 of the -- the expert in this DER integration  
17 process. Worked on industry infrastructure in the  
18 1990's. He's worked with the California Energy  
19 Commission. So has a lot of expertise in this  
20 area. We've got from FERC, Arnie Quinn, who is  
21 Director of the Office of Energy Policy and  
22 Innovation. I appreciate your coming Arnie. Who

1       has a global overview. Has worked in the Division  
2       of Economic and Technical Analysis at FERC in  
3       Energy Policy. In Energy Market Oversight. Or  
4       has a broad overview of the entire United States.  
5       Dr. Quinn has studied economics and has a PhD in  
6       economics at University of Minnesota. We have,  
7       from my boss's boss, Woody Rickerson from Texas.  
8       Who always has a Texas outlook on the Transmission  
9       Grid planning. He's director of both Planning and  
10      Operations. So, he is familiar with the  
11      operations of the ISO. And the planning for the  
12      ISO. Has a background in, frankly I'm -- it's not  
13      on his bio. But he frankly got our CIM  
14      integration. Our model integration to work.  
15      Which I don't think anyone else in the world has  
16      gotten to work. In the timeframe we've got going,  
17      we've got Mike Bryson, who's Director of  
18      Operations at PJM. So we have two ISO's to  
19      contrast how things work. And what the  
20      penetration's like. How that interface vision is  
21      taking place. Mr. Bryson's got 10 years of  
22      military experience as a pilot before joining PJM.

1 And is well known in the industry. Thank you for  
2 coming Mike. And finally, we've got Joseph  
3 Brannan, Executive Vice President and CEO of North  
4 Carolina Electric Membership Corporation. Joseph  
5 is a little bit -- he's got experience in both  
6 Distribution and Risk Management. So, he's seen  
7 both sides of this. And I think he has experience  
8 both in markets and integrated areas. So, he's  
9 going to be able to provide us with more of a, how  
10 do I say this? Bottom up view and provide both  
11 markets and integrated viewpoints on this. So,  
12 we've got a great panel. I really appreciate all  
13 of them coming today. And with that, I'm going to  
14 turn it over to Joe.

15 MR. ADAMS: Thank you very much.

16 MR. PALADINO: It's nice to see you  
17 again John.

18 MR. ADAMS: Good to see you.

19 MR. PALADINO: Okay. Hello everybody.  
20 My name's Joe Paladino. I'm with the Department  
21 of Energy. I just wanted to provide some opening  
22 -- just some opening remarks. I don't want to

1     take too much time from these folks, because  
2     they've got an incredible amount of experience and  
3     a lot of things they want to say. But I just want  
4     to tee up the discussion just a little bit. There  
5     are some principal drivers that are occurring  
6     right now, that are pushing this concept of grid  
7     transformation. We've got emerging, evolving  
8     federal and state policies. We've got emerging  
9     technologies. We're not only talking about  
10    information and communication and technologies.  
11    We're also talking about Distributed Energy  
12    Resources. PV. The cost of energy storage coming  
13    down. Things like this. And we've also got  
14    customers and third parties that want to apply  
15    these technologies. And want to get a little bit  
16    more control over the generation and management of  
17    electricity. And we've got other technology  
18    providers coming into that mix. And when you take  
19    all of these factors and put them together, you've  
20    got a situation where the grid is going to have to  
21    transform to be able to enable all of these things  
22    to happen. There's sort of a top down bottom up

1     thing going on here. So, in the absence of  
2     federal and state policies driving these things,  
3     we've got a very rich, robust technology movement  
4     going on. We've got technology providers that  
5     really want to get this technology into the  
6     marketplace. They're just waiting there. And  
7     then the technology providers are really, you  
8     know, sometimes they're a little bit ahead of  
9     everybody else, with respect to how we're going to  
10    manage this. So, for instance, in Minnesota, when  
11    the Minnesota legislation in 2013 required their  
12    -- required the investor owned utilities to obtain  
13    1.5 percent of their energy from the sun, by 2020,  
14    Xcel Energy was flooded. It has been flooded with  
15    applications to be able to deploy solar gardens.  
16    And they've got way out ahead in front of the  
17    headlights of the -- of the regulators. And now  
18    they're trying to hand -- figure out how to  
19    address that. We have a FERC Notice of Proposed  
20    Rulemaking on energy storage and the aggregation  
21    of DERs in transmission level markets. That may  
22    have a similar effect. We don't know. But that

1 Notice of Proposed Rulemaking is out and there's  
2 going to be a lot of discussion about how to  
3 enable markets for energy storage devices, as well  
4 as Distributed Energy Resources. I want to try to  
5 provide a realistic picture of where we're headed,  
6 because a lot of folks might take a look at our  
7 discussion and our dialogue, and think, we're just  
8 headed towards trying to develop a Distribution  
9 System Grid Platform that will enable the plug and  
10 play of Distributed Energy Resources, etcetera.  
11 But, in reality, the modernization of the grid is  
12 moving at different ways across the country. So,  
13 at one level, states might be pushing a  
14 Distributed System Platform. At another level,  
15 they're pushing local energy determinism, where we  
16 might have more micro grids. And community  
17 choice, etcetera. And, at a less sophisticated  
18 level, business as usual, where we'll have less  
19 automation, but some DER penetration. So there's  
20 a set of co-existing futures that we just have to  
21 always remember, is probably how we're going to be  
22 moving forward in this space. I almost had



1       hesitated to bring this curve up again. But it is  
2       highly illustrative. As we bring more Distributed  
3       Energy Resources onto this system, they have --  
4       they have great -- they cause great operational  
5       impacts. So, for instance, you're familiar with  
6       the California "Duck" Curve. As we provide,  
7       deploy more PV systems, mostly behind the meter,  
8       in California, as the sun comes up during the day,  
9       we've got more generation of electricity from PV  
10      installations, that lowers the net load during the  
11      day. Great amounts of net load reduction may  
12      cause over generation, where we might have to  
13      actually even come back on -- curtail some of the  
14      renewable generation. But also, we might have to  
15      actually curtail and reduce the generation from  
16      the bulk power systems. But, when the sun goes  
17      down at the end of the day, we're going -- we have  
18      to bring on very flexible resources to be able to  
19      deal with the increase in load. And, in fact, we  
20      need very flexible resources that can ramp up or  
21      ramp down quickly. We need resources that, like  
22      energy storage and other flexible resources that

1       we can also bring onto the grid to be able to deal  
2       with this. The bottom line here is that, as we  
3       start to bring on a more -- a mixed set of  
4       Distributed Energy Resources, it's not just energy  
5       storage, or PV. But, we start thinking about  
6       electric vehicles in that mix, as well as, you  
7       know, Smart buildings, etcetera. And we start  
8       taking a look at a lot of variability and load.  
9       We're going to have to start thinking about how we  
10      increase the flexibility of the system. And that  
11      is implications for both planning and operations.  
12      Because in the planning space, we're going to have  
13      to think about what resources we need to bring on  
14      to deal with -- to deal with flexibility. And,  
15      obviously, we're going to have to be able to apply  
16      those resources in an operational framework.

17               So, as we bring on DER's, we're going to  
18      really have to start thinking about flexibility.  
19      And you'll see that we've got DER's, Distributed  
20      Energy Resources, at the distribution level. They  
21      were affecting things at the transmission level.  
22      To the transmission system level, has its own

1 issues to deal with. Right? Because, it's  
2 uncertain as to even what bulk power systems are  
3 going to remain available. We saw issues with  
4 respect to natural gas availability in California  
5 and things like that. So, there's variability  
6 happening in the bulk power system. There's a lot  
7 of variability, because the DER's happening in the  
8 -- at the distribution level. And, we're going to  
9 have to really look at integrated transmission and  
10 distribution planning and operations to be able to  
11 deal with that. I'm showing this picture, because  
12 on the other hand, DER's cause impacts of the  
13 system. But DER's also provide value. And the  
14 question is, is how much value the -- do they  
15 provide? And how do we actually access that  
16 value? And so you can look at this from two  
17 different standpoints. Let's look at it from a  
18 customer perspective, for instance. Okay? The  
19 customer will either lease or buy a Distributed  
20 Energy Resource system. PV system. And, they'll  
21 derive value, based upon, perhaps lower  
22 electricity costs. Maybe some value from

1       increased reliability. Or environmental  
2       considerations. A lot of that value is also  
3       coming from the fact that there are tax subsidies.  
4       And they're involved with that. And the question  
5       then becomes, when those tax subsidies and other  
6       incentives go away, how does the customer then  
7       make up that value? Where is that -- does that  
8       value still reside in the system? And can we  
9       actually provide value to customers by enabling  
10      them to get -- to provide value to the grid? Or  
11      they able to get -- compensate for that value by  
12      providing services to the grid. So that's one  
13      question. The other perspective to look at is,  
14      what is the incremental value to the grid from  
15      Distributed Energy Resources? From a transmission  
16      space -- from a transmission system aspect, we're  
17      looking at things like, deferred generation and  
18      transmission capacity. Increased flexibility  
19      capability. Reducing congestion and - - and other  
20      losses on the transmission system. On the  
21      distribution system, we're looking at reducing  
22      capacity requirements and saving money there.

1 Potentially improving voltage management  
2 capabilities. Reducing losses. Improving  
3 reliability and resilience and things like that.  
4 So there are value streams that are transmission  
5 level based streams, as well as distribution level  
6 value streams. Again, the question is, how do we  
7 extract these? And I think a lot of these  
8 gentlemen, the gentlemen here in this panel, are  
9 actually trying to address that. One other thing  
10 I just want to note here, is the fact that there's  
11 going to be an evolution with respect to markets.  
12 And the -- with respect to the way we extract  
13 value from Distributed Energy Resources. For  
14 instance, if you take a look at what's happening  
15 in the Brooklyn Queens Project, and what's being  
16 considered in other states as well, perhaps the  
17 biggest value component right now, is the ability  
18 to defer other distribution capacity. And so,  
19 from a distribution market standpoint, that might  
20 be the place where DER's provide value first.  
21 Another place where DER's could provide value,  
22 would be to improve frequency response and things

1     like that. Or to manage voltage on a distribution  
2     system. Okay. And it may be over time that we're  
3     able to extract smaller and smaller increments of  
4     value that leads again to, what we keep on talking  
5     about, is this transactive energy future. But  
6     it's really going to be really important to look  
7     at the magnitude of these value streams. And how  
8     we evolve over time to develop these market  
9     practices, to be able to extract that value in a  
10    reasonable way. In a way that provides value.  
11    Not only to the DER service provider, or the  
12    customer. But in a way that provides tangible  
13    value to the utility or the distribution system  
14    owner. Transition system owner as well. So, we  
15    have to move through that conversation in an  
16    integrated way very carefully. Just some  
17    considerations. We've already talked about that  
18    the fact that DERs were at capacity, energy and  
19    ancillary services. They provide this value.  
20    But, they require flexible systems to do that.  
21    And that flexibility is a coordinated effort  
22    between the transmission folks and the

1 distribution folks. As we increase the level of  
2 DER penetration in the system, some people say  
3 eight percent. Some people are throwing out  
4 percentages, etcetera. There's some examples to  
5 look at there. That will require integration of  
6 planning operations and markets, between the  
7 transmission folks and the distribution folks, but  
8 also the customers and the aggregators of these  
9 DER services and DER service providers. All of  
10 those participants are in that, are going to have  
11 to play in that mix somehow. Because value's  
12 going to have to come to all of those different  
13 components of the system. One thing that is  
14 really important, and we started touching upon it  
15 in the last session, was this concept of  
16 coordination framework. A coordination -- I  
17 didn't understand this basically, until about nine  
18 months ago. Okay. But it has come -- I've come  
19 to appreciate the fact that we need to understand  
20 and establish what the rules are. The respective  
21 responsibilities are. The points of  
22 interconnection. The data requirements and flow

1       amongst all the participants. That needs to be  
2       understood. That's the coordination framework.  
3       And we need to understand that for scheduling and  
4       dispatch. Because Transmission System Operators  
5       require predictability and assurance from the DER  
6       commitments to satisfy their markets. They need  
7       visibility into that system. They need  
8       guarantees. But then again, Distribution System  
9       Operators may need dispatch rights. Because, if a  
10      lot of these Distributed Energy Resources are  
11      playing in the transmission market, a Distribution  
12      Operator's going to go, time out. You can't use  
13      that DER at this point in time, because I need  
14      that to maintain reliability on my system. There  
15      needs to be that level of coordination. A  
16      coordination framework, also will be able to  
17      address, should be able to address scalability  
18      issues as well as optimization issues.  
19      Scalability, in terms of, if we've got millions of  
20      points in the distribution system, that are --  
21      that the distribution system owner has to control,  
22      but are also playing in the transmission space, we



1     need to be able to figure out how to scale that  
2     system logically. And we actually also be able to  
3     enable selfish, local optimization, with system  
4     optimization. And the work that's being done by  
5     Jeff Taft and the thing -- and the efforts I think  
6     that FERC is looking into right now, with respect  
7     to laminar coordination frameworks, is one  
8     promising way to try to approach that in a  
9     practical way, as well as to respect the physical  
10    constraints of the system. And we need to actually  
11    look at this coordination framework, to determine  
12    what the appropriate communication and control  
13    structures are. Understanding the coordination  
14    framework again, is a prerequisite to determining  
15    what the appropriate communication and control  
16    structure requirements are.

17           And then, finally, we're going to need  
18    better optimization tools. Because in a macro  
19    sense, from a macro sense, if we're looking to  
20    cross the T and D spectrum, what is the best mix  
21    of bulk technologies versus Distributed Energy  
22    Resources technologies, with respect to all of

1     those value streams. From a micro sense, if I'm a  
2     -- if I own a note, if I'm a building owner or  
3     from a distribution system company, how do I want  
4     to optimize my system? And how -- how is that  
5     stuff supposed to play together? And so I'll need  
6     planning tools to be able to do that. And then,  
7     finally, we're going to need better technologies  
8     to actually enable flexible operations. Okay.  
9     Things will potentially be working at a much  
10    faster pace. And need to interact and decide at a  
11    much quicker time scale. So, technologies like  
12    Smart inverters and energy storage devices and  
13    things like that play into that. And then, just  
14    lastly, we're just talking about the transmission  
15    and distribution interface, including also the  
16    customer's and DER service providers. But, we're  
17    heading into a future where we're converging, not  
18    only ICT with the grid T and D, but we're looking  
19    at the convergence of the electricity system with  
20    the transportation system, with the financial  
21    system, with natural gas systems. We're looking  
22    at that kind of convergence too. So, I'm just

1       throwing this out there, because we're looking at  
2       a very practical problem here that's approaching  
3       us. But, moving down the road, this is a much  
4       bigger problem. So thank you very much. And,  
5       Lorenzo, I think you're up.

6               MR. KRISTOV: Okay.

7               MR. ADAMS: Okay. Thank you.

8               MR. KRISTOV: I have to click. Okay.  
9       Thanks. Oh that's good. I get to see this, so I  
10      don't have to look over my shoulder. (Laughter) I  
11      was worried about that. Good. Good afternoon  
12      everyone. And thank you very much for the  
13      invitation to be here and be talking about this  
14      subject. I -- Joe really filled in a lot of  
15      material there. So, thanks for starting things  
16      off right. I'll go quickly through some of the  
17      things that might be redundant to focus really on  
18      what we're doing in California. How we're  
19      thinking about it. And some interesting work that  
20      we've got going on. So, do I point it this way  
21      and it works? Yes. Growth of DER. So these are  
22      some things that you -- many of you are familiar

1 with. The growth of DER and potential  
2 distribution level markets call for an updated  
3 coordination framework. There's the term. And  
4 basically, we're seeing the industry changes  
5 characterized by shifts to renewables, away from  
6 fossil. Grid edge adoption of diverse resources.  
7 Sort of how we started out today's discussion in  
8 the earlier panel. The decline of the traditional  
9 centralized one way power flow. And commodity  
10 based revenue models. I want to just introduce  
11 that idea where, since the market restructuring of  
12 the 1990's, we bought into pretty much the notion  
13 that energy is a commodity. But, maybe with DER  
14 and some of the changes happening, there's other  
15 ways we should think about energy. Potential for  
16 distribution level, peer to peer markets. And  
17 then, new roles for DO's or Distribution  
18 Utilities. I'll use DO as the Distribution  
19 Operator generally. The idea of DSO's was  
20 something that we introduced a few years ago. And  
21 now it's kind of become a hot topic like, ooh, I  
22 don't want to be a DSO. Or, I really do want to

1       be a DSO. Or I don't want somebody else to be a  
2       DSO. (Laughter) So, you know, it's become an  
3       interesting issue and the fact is, my great  
4       insight last year at the Rocky Mountain Institute  
5       ELAB meeting, was that a DSO was really a golden  
6       unicorn. Everybody knows they must exist, but no  
7       one's ever seen one.

8                       (Laughter) And they can't -- they  
9                       can't quite describe them, you  
10                      know. Anyway, whatever we do with  
11                      all these ideas, the system has to  
12                      work. And that's why where a lot  
13                      of the work that I've been doing  
14                      and the ISO's focus is, let's  
15                      figure out operationally, what  
16                      needs to happen, you know. In  
17                      those few seconds when disturbances  
18                      happen, etcetera, and planning to  
19                      be able to operate with this higher  
20                      environment. And therefore, that  
21                      brings us to the question of  
22                      coordination between

1 transmission-distribution systems  
2 and markets. And on that note,  
3 because it's focused on operations,  
4 I'll come back to this theme. I  
5 don't think these questions are  
6 particular to ISO/ RTO areas, or  
7 any particular areas of the  
8 country. Or particular industry  
9 structures, even vertically  
10 integrated utilities. In many  
11 cases, I know, that the  
12 Transmission Department and the  
13 Distribution Department are  
14 separate departments. And if  
15 they're considering serious growth  
16 of DER, then a new relationship  
17 between the Transmission and  
18 Distribution System Operators will  
19 be needed. So, DER business models  
20 are really looking to provide  
21 services at multiple levels of the  
22 system. And to be able to stack

1 revenue streams. When I use the  
2 term DER, I mean it very broadly to  
3 mean, essentially, anything that's  
4 connected below the ISO grid level  
5 distribution system, behind the  
6 meter, that's going to then affect  
7 the flow of electricity and could  
8 have an impact at the T and D  
9 interface. Or at least we'll have  
10 an impact on distribution  
11 reliability. So, it's all of the  
12 devices you can imagine. Many of  
13 them controllable. Storage and  
14 vehicle charging and so on. Plus,  
15 all of the new sophisticated  
16 controls in communication  
17 technologies, that allow such  
18 things as, very fast response to  
19 signals, aggregation optimization  
20 and so on. So, the different  
21 levels are in the next bunch of  
22 bullets, where the developer's

1 thinking about stacking resources  
2 and revenue streams. First, behind  
3 the meter. That's kind of the  
4 optimal place to locate, because  
5 you can provide services to the  
6 customer, and then move up and  
7 provide services to the  
8 distribution system. And move up  
9 there. From there, provide  
10 transmission system and wholesale  
11 market services. Many of these are  
12 stackable. This brings us to the  
13 question of, what we call multiple  
14 use applications. The California  
15 Public Utilities Commission has a  
16 proceeding now as part of its  
17 storage track too, where they're  
18 looking at multiple use  
19 applications. And the ISO is  
20 collaborating with the CPUC staff,  
21 to spell out, what are the  
22 situations where you can have a



1 resource or a given amount of  
2 capacity, provide multiple services  
3 among these different levels,  
4 without causing conflicts. And,  
5 it's not the kind of thing where  
6 you come up with generic answers.  
7 It's really, you've got to look at  
8 the different use cases and the  
9 different configurations, and  
10 figure out what's workable and  
11 what's not. Besides this, there  
12 may be bilateral contracts that  
13 some of these resources are engaged  
14 in. And then peer-to- peer  
15 transactions, we may get there. I  
16 view that as, further down the  
17 road, this other stuff is happening  
18 already. But peer-to- peer is  
19 certainly on the horizon. So we  
20 started working at the end of 2015,  
21 beginning of 2016, starting to  
22 convene a working group. Two --

1 two working groups actually. One,  
2 where we're just meeting with the  
3 distribution utilities, trying to  
4 bring the operational perspective  
5 and expertise into the room. And  
6 just really focus on that kind of  
7 stuff, without getting into  
8 business models and rates and a lot  
9 of other things. Make it the  
10 mechanical physical stuff. And  
11 then another group, which is under  
12 the More Than Smart organization,  
13 which is now a more diverse  
14 stakeholder group. So it started  
15 last year. It's continuing this  
16 year. And, what we've observed so  
17 far is, first of all, the idea of a  
18 coordination framework has these  
19 three fundamental points in it.  
20 It's the ISO. It's the  
21 Distribution Operator. And the DER  
22 provider. And it's really a three

1 way. This is one of the questions  
2 that FERC asks in the NOPR in fact,  
3 about this communication. Now,  
4 there will be some communication or  
5 coordination activities that may be  
6 just among two of the parties. But  
7 the whole framework has to involve  
8 all three. We also noted specific  
9 needs for near term 2017  
10 enhancements. Because we're  
11 expecting to see, FERC approved our  
12 DER provider proposal last year.  
13 We've got DER providers that is the  
14 entity who's participating in our  
15 market, has signed agreements. But  
16 they haven't brought us the  
17 resources yet. But we expect that,  
18 probably by the end of the year, we  
19 will have some DER aggregate  
20 resources in the market. So we  
21 want to be prepared, perhaps with  
22 just manual procedures to begin

1           with. But at least be able to make  
2           sure that we can integrate those  
3           resources. The efforts have to  
4           continue as DER growth evolves.  
5           We're not going to solve everything  
6           this year. It's going to be an  
7           ongoing process, for several years  
8           at least. As we think about the  
9           near term arrangements, and then  
10          expanding them or making them  
11          permanent for the longer term,  
12          automation is definitely on the  
13          table. We need to think about ways  
14          that we can look at larger numbers  
15          of things. And you'll see when I  
16          get into specifics, why that's  
17          fairly obvious. And then the focus  
18          on operations makes this relevant  
19          to all Distribution Operators,  
20          regardless of the structure you're  
21          living in. Now, given those three  
22          key players of this triumvirate, we

1           wanted to say, well, what does each  
2           one of those three care about?  
3           ISO. What do we care about  
4           primarily? Well, we have to  
5           operate the grid reliably. And we  
6           have to operate the markets.  
7           Provide open access transmission  
8           service. That's our fundamental  
9           mission. And we've got to be  
10          concerned about what's happening at  
11          that TD interface, which is also,  
12          we call it a P-Node, which in  
13          location of marginal pricing terms.  
14          That's where we create a marginal  
15          price in every settlement interval.  
16          We want predictability. If we  
17          dispatch DER to do something, we  
18          want predictability over what  
19          response we're going to get. In  
20          addition to that, there would be  
21          lots of DER that are not in the  
22          market. And what are they going to

1           be doing? What's their behavior  
2           going to look like, that's going to  
3           have an impact, so that we can see,  
4           what's that net load look like at  
5           each T-D interface, to plug into  
6           our optimization? And then longer  
7           term DER growth scenarios. This is  
8           a topic the CPUC has taken up in  
9           its distribution planning  
10          proceeding. How do we come up with  
11          growth scenarios over a yearlong  
12          planning horizon, where we have to  
13          forecast the adoption part of it?  
14          That is, customers autonomously  
15          deciding to adopt technologies.  
16          And then, the behavior of those  
17          things, once they're adopted and  
18          installed, how are they going to  
19          affect the net load? And we want  
20          to look at that over a 10 year time  
21          period, because that's our planning  
22          horizon for transmission planning.

1           On the Distribution Operator's  
2           side, they have very similar ones  
3           in a sense, they're focused on  
4           reliable operation. They want  
5           visibility to the current behavior  
6           of the DER. And they want some  
7           predictability. What's it going to  
8           do in the next 5, 10, 30 minutes.  
9           Two hours. They also will need  
10          some ability to modify behavior.  
11          Because now their operations are  
12          going to require that sometimes,  
13          they need to tell a DER operator  
14          what that resource needs to do.  
15          Now that doesn't mean they need  
16          controls over everything. Part of  
17          the planning for this is going to  
18          be look at, well, in a local  
19          distribution area, I use that term  
20          local distribution area to mean, a  
21          single transmission distribution  
22          interface, and all of the stuff

1                   that's below that interface. So,  
2                   in that local area, they know that  
3                   there's a certain amount of  
4                   different things installed.  
5                   Whether it's roof top solar,  
6                   community solar, batteries of  
7                   different sizes and types and so  
8                   on. What are the key points on  
9                   that system, where they need a  
10                  controllable device? And how do  
11                  they get those? And that may be  
12                  the beginnings of a market, which  
13                  is, they say, I need this  
14                  performance capability at these 12  
15                  different points on my feeders.  
16                  So, I'm going to put out an RFP,  
17                  see who responds to that. And then  
18                  I have these devices that I can  
19                  have on a control signal. It's  
20                  beginnings of a kind of market  
21                  approach. But it's not a spot  
22                  market that they're responding to



1 necessarily. It may be a control  
2 signal that says, you're responding  
3 in four seconds, like AGC. But  
4 then they also need the same long  
5 term DER growth scenarios for  
6 distribution planning. So, our  
7 perspective is, well, gee, can we  
8 create these granular DER growth  
9 scenarios that are maybe circuit  
10 level for distribution planning?  
11 And then simply aggregate them up  
12 to the T-D substation. And we're  
13 using the same information then for  
14 our planning at the transmission  
15 level. The DER provider and  
16 aggregator, is concerned with a  
17 viable business model. So, they  
18 want to participate in a  
19 non-discriminatory matter. And  
20 I'll come back to  
21 non-discriminatory in a minute. In  
22 all the markets for which their

1 resource has the required  
2 performance capabilities. So when  
3 the ISO defines needs, what do we  
4 need from market performance? We  
5 try to be technology neutral. And  
6 we say, what are the performance  
7 characteristics we need? You,  
8 developer, bring us whatever  
9 hardware you like. But these are  
10 the performance characteristics.  
11 And then, the ability of looking at  
12 the long term viability of their  
13 resource. They want to optimize  
14 their choices of market  
15 opportunities. And, some of those  
16 opportunities will be limited by  
17 short term phenomenon. That is,  
18 changes on the distribution system.  
19 So that then leads us to a sense  
20 of, well, what is it that we need  
21 in the way of information? This is  
22 the -- probably the most

1           frightening diagram that I'll have  
2           today. And, this was made up to  
3           sort of give us a snapshot of how  
4           it is today. And, so this is  
5           everybody who's involved in DER.  
6           Demand response. The familiar old  
7           stuff, where, you know, customers  
8           are aggregated and they're going to  
9           do a demand response type of thing.  
10          Who all is involved? Well, the ISO  
11          is there at the top. But we deal  
12          with transmission connected  
13          generation and scheduling  
14          coordinators, etcetera. I won't go  
15          through all of this, except to  
16          note, that when we're thinking  
17          about this future coordination  
18          framework, the important entities  
19          are the boxes that are in pink. It  
20          says red, but, you know. The ISO.  
21          The Utility Distribution Operator,  
22          or potentially a future DSO. And

1           then the DER providers, the two  
2           boxes that are on the left side of  
3           the diagram, which could be, a  
4           resource that's connected at  
5           distribution level, goes through  
6           WDAT. That stands for the  
7           interconnection tariff that a  
8           resource goes through to connect as  
9           a wholesale resource on  
10          distribution. Or it could be  
11          simply an aggregator behind the  
12          metered devices. So, the Device  
13          Operators, the Distribution  
14          Operator and the ISO. Note that,  
15          in this existing DR framework,  
16          there's no direct link between the  
17          ISO and the DO. Right now those  
18          entities don't talk to each other.  
19          When we dispatch a DR, we tell the  
20          Transmission Operator. And that  
21          word gets passed on. But the DO  
22          isn't in the loop. So we have very

1           little need or interaction with  
2           them. So, if we think about a  
3           future DO or DSO in this new high  
4           DER framework, that utility DO box  
5           would become the DSO. Or maybe  
6           they'd both co-exist in some way,  
7           depending on any spill out, their  
8           roles and responsibilities. But  
9           then there would also be a direct  
10          link to the ISO for that. So, we  
11          came out with some recommended  
12          enhancements for the short term.  
13          What should we do? First of all,  
14          the DO should provide advisory  
15          information to DER providers about  
16          system conditions that will affect  
17          their operation. So, the  
18          Distribution Operator knows where  
19          all the sub-resources of an  
20          aggregation are located. Because  
21          they all went through an  
22          interconnection process. And they

1 know how they're bundled into an  
2 aggregated resource. So, they can  
3 look at circuits and say, oh, I'm  
4 switching the circuit today. It's  
5 out of service. And initially,  
6 this might be a simple red green  
7 signal. In other words, this  
8 particular circuit is taken out of  
9 service. It's a certain amount of  
10 your capacity, because some of your  
11 sub-resources are on it. You can't  
12 use it for the next three hours.  
13 Or something like that.  
14 Eventually, it should be more  
15 subtle than that. But at least the  
16 DO needs to get that information.  
17 And then they could do something  
18 with it. So, the next step would  
19 be, the ISO would provide day ahead  
20 DER schedules. They -- because as  
21 it is today, the DER bids into our  
22 market. The DO doesn't see that.

1           We issue a dispatch instruction.  
2           DER tries to respond. All of that  
3           is just between the ISO and the  
4           resource. The DO doesn't  
5           necessarily know anything. So one  
6           of the ideas is, let's send the  
7           Distribution Operator the day ahead  
8           schedules that clear our market.  
9           Or the real time -- eventually the  
10          real time dispatches, let them then  
11          do some sort of feasibility  
12          assessment on that, and let us know  
13          if there's a problem. The DER  
14          provider should communicate any  
15          constraints on its resources  
16          performance to the ISO. How would  
17          you do that? Well, let's say at  
18          o'clock in the morning, the DO finds out  
19          that percent of its capacity is out because a  
20          circuit is out of service. So, it's  
21          about to submit bids to the ISO's day ahead  
22          market, that closes at 10 o'clock for the next

1        day. So it modifies its bid, recognizing that  
2        it's going to have limited capacity the next day.  
3        Meanwhile, we also -- it's also in the day of  
4        operation, where at T minus 75 minutes, it's going  
5        to be putting in its real time bid. So again, it  
6        modifies those bids. Now, there may be something  
7        more immediate. Like, in the next half hour, it's  
8        got to dispatch instruction to do something. And  
9        in that case, there's no new bidding  
10       opportunities, so it submits an outage  
11       notification, or a de-rate notification. So it  
12       takes action based on this information, to inform  
13       the ISO of what's possible and what's not.

14                The next thing is, DER aggregators  
15       should work closely with the DO early in the  
16       resource implementation. The DO, because every  
17       sub-resource goes through an interconnection  
18       process, the DO knows -- they've studied how those  
19       things are going to impact their systems. But  
20       they haven't seen this particular aggregation of  
21       resources, all functioning together, and perhaps  
22       responding in the same direction at the same time



1       in some proportional way, to an ISO dispatch  
2       instruction. Part of what the DERP construct,  
3       that for -- approved last year, has an opportunity  
4       for the Distribution Operator to review a proposed  
5       aggregation, and identify problems. We want to  
6       push that a little bit more and say, well, don't  
7       just identify a problem, let's figure out how to  
8       mitigate it. And let's take enough time in  
9       advance so that the DER aggregation can work. And  
10      if there's a problem that's insurmountable, well  
11      let's modify the resource a little bit, or  
12      whatever it takes, in order that we have a  
13      workable solution. And then finally, the idea of  
14      DO's pursuing a Pro-forma Aggregation Agreement.  
15      This is a work in progress right now. This is an  
16      idea that is still being bounced around. But,  
17      when the ISO has a relationship, well our DERP  
18      agreement, DER provider, we make an agreement with  
19      the provider of that resource, which spells out  
20      our mutual roles and responsibilities to each  
21      other. And the suggestion here is that something  
22      similar is needed between the Distribution

1 Operator and the resource aggregator. The  
2 resource wants to play in the market, going back  
3 to those objectives I showed you a moment ago.  
4 So, the two entities will have some roles and  
5 responsibilities to ensure their compatibility and  
6 ability to work together. Here, there's a lot of  
7 words on here. I'm expecting, and I think, you  
8 know, that you'll be able to get these slides in.  
9 Because I don't want to go through all this. But,  
10 what I try to do here, is talk about the  
11 challenges of high DER in a bit more detail. List  
12 them out. And then what are the kinds of  
13 mitigations that are needed to address those?  
14 These are all things that we're talking about now,  
15 and I don't want go through them all. But here's  
16 another view of a similar way of looking at this.  
17 Down the left side, we've listed different types  
18 of information that's available to some parties.  
19 Where there's black ink in the right hand columns  
20 that information exists and is available today to  
21 the parties across the top. But when we think  
22 about DER and higher penetration participating in

1 the wholesale market, what do we need to add to  
2 improve the coordination? So, for example, I  
3 mentioned the fourth line down, Distribution  
4 System Topology and Conditions. So there's a red  
5 line over on the right that says, the DO informs  
6 the DER provider of those conditions, etcetera.  
7 There's stuff in there about forecasting. We've  
8 added ISO day ahead market schedules and real time  
9 dispatches and so on. So this is just a little  
10 schematic of the things we're thinking about.  
11 Now, ISO, DSO coordination for high DR, is  
12 enmeshed with the design of the future DSO. Back  
13 to that word again. Nobody quite knows what it  
14 is. But, the value of that, is that we can invent  
15 it in ways that make sense that may be different  
16 in different utility service areas. Or in  
17 different states, depending on what the goals and  
18 objectives are. So, we started this in terms of  
19 book ends. What would be two extreme versions of  
20 a possible DSO design that sort of bound the  
21 problem for us? You know, and they're meant to be  
22 extreme in a sense. But, bookend A I call the

1 current path, or minimal DSO. And the idea is,  
2 that the DSO, in terms of its reason for being is,  
3 essentially, the same as it is today. It's  
4 providing reliable distribution service, to  
5 whoever is connected to it. Now, with DER, that  
6 already goes a step beyond what it is today.  
7 Because if you look at NERC's definition of what a  
8 distribution provider is, it says, the entity who  
9 moves energy from the bulk system down to the end  
10 use customers. Well that part of it is obsolete.  
11 It still is the entity that's providing a reliable  
12 distribution system. But more than just moving  
13 energy commodity from the bulk system of the  
14 customers. It's now creating a viable system,  
15 where all of these different resources can operate  
16 and fulfill their objectives. So, it's definitely  
17 enhanced functionality, compared to what  
18 Distribution Operators do today. But, the  
19 essential role is reliable distribution service,  
20 and not a whole lot more. Whereas, this total DSO  
21 on the other end, is really now an entity that's  
22 doing quite a lot more, performing a lot of the

1 aggregation for wholesale market participation.  
2 Optimizing in local areas. And you start to see  
3 that, and balancing supply and demand locally,  
4 manage DER variability to minimize impacts. This  
5 is another, I think, tremendous opportunity of  
6 value for DER that's not realized yet. You look  
7 at the Duck Curve that Joe put up. That huge  
8 belly in the middle and that really steep ramp in  
9 the late afternoon. Well, that's the ISO's system  
10 net load curve. And that's made up of load  
11 profiles that are coming from all over the system,  
12 at distribution level. Some of it's the utility  
13 scale generation. But, a lot of it is stuff that  
14 can be managed locally. So what if we used DER to  
15 flatten load profiles down at the circuit level.  
16 Down at the local distribution level. What if we  
17 use DER, say storage, dispatchable ones, that can  
18 respond quickly and smooth out the minute to  
19 minute fluctuation, so that that's not exported to  
20 the ISO level. That takes a higher degree of DSO  
21 activity, than simply just providing reliable  
22 distribution service with high DER. The ultimate

1 of this, I think, is what if the DSO aggregates  
2 everything in a local area, such that, at each T-D  
3 and interface, the ISO sees a single resource. It  
4 just looks like one resource. We don't care  
5 what's inside it. Right now we have to care.  
6 But, this is an imaginary future. So, we don't  
7 have to care what's inside it. It looks like a  
8 big micro grid, and somebody's operating it all.  
9 And we're just worried about managing to that  
10 interface. So that's the ultimate simplicity,  
11 which also plays into this idea of laminar  
12 decomposition that Joe mentioned. Then multi-use  
13 applications, it's one of the big issues with  
14 multi-use applications. You have the same  
15 resource providing services to the distribution  
16 grid and to the ISO. What if it gets conflicting  
17 instructions? Who should it listen to? Well, in  
18 this total DSO model, there is no conflicting  
19 discussion -- instruction. Because the ISO is  
20 instructing the DSO. Sorry if I'm in your way.  
21 You're flopping back and forth. The ISO is just  
22 sending instructions to the DSO. And then the DSO

1 is optimizing the resources in its local area to  
2 respond to that. So, this is another table. I  
3 won't go through all the details. Hopefully  
4 you'll get this presentation. And, I'm just sort  
5 of comparing the two DSO's among -- in accordance  
6 with a list of different design elements down the  
7 left hand side. So, this -- these are some  
8 diagrams that came out of a paper poll, and I  
9 wrote, just to sort of illustrate this. And the  
10 idea of the minimal DSO, what's happening now is  
11 that all the things that are in the DER realm, are  
12 in a sense, having impact at the transmission  
13 level. Many of them are participating in the  
14 market. Some of them are just behaving and having  
15 impacts. The Distribution Operator is sort of off  
16 to the side. And this is, you know, this is a  
17 version of our coordination framework. But, you  
18 know, the ISO is really directly integrating all  
19 of the DER for transmission and distribution. In  
20 the really extreme case of this, the ISO could be  
21 modeling distribution circuits in our network  
22 model. And actually looking at real locations.

1 Right now, we just see DER as if they're at the  
2 T-D substation. But one could imagine a more  
3 comprehensive optimization where we're seeing the  
4 circuits. This is not advised. Don't try this at  
5 home, due to complexity and scaling risks. The  
6 total DSO is similar to an ISO at a distribution  
7 level. Or else, I like to think of it as similar  
8 to a neighboring balancing authority. In a sense,  
9 it's taking care of its own system balance. And  
10 then so, there's the idea of the DSO coordinating  
11 a single aggregation at each T-D interface. And  
12 there's more description of that there. New  
13 questions that come up. I mentioned an open  
14 access structure for Distribution System  
15 Operators. I mentioned before, about DER wanting  
16 to have non-discriminatory access to participate.  
17 So what happens if distribution circuits are now  
18 taking out some capacity, and there's five  
19 different providers of resources, how is that  
20 capacity allocated? In the ISO system, it runs  
21 automatically through our five minute economic  
22 dispatch. We have economic bids for the



1 resources. We have all the constraints modeled in  
2 our network model. The optimization spits out a  
3 result. The rules are transparent. Everybody  
4 gets their dispatch instruction. And that  
5 performs the congestion problem. That actually  
6 allocates rights to generate, that respect the  
7 constraints on the grid. How do we create  
8 something similar? Not necessarily an  
9 optimization. But maybe. But, at least in -- in  
10 substance, that is non-discriminatory to the  
11 participants. So that they have really  
12 transparent rules about, when am I going to get  
13 curtailed and not this other party? How is that  
14 managed? So, that also though, involves around  
15 the interconnection cue and planning as well as  
16 the ISO has found, because over the years, since  
17 the ISO was created, we took more and more control  
18 over transmission planning. Over the  
19 interconnection cue process. All of those are  
20 different aspects of non-discriminatory open  
21 access. Is an independent DSO needed? There are  
22 advocates who say, that yes, we should have an

1 independent entity like the ISO. I don't know. I  
2 personally would start from, well, what are the  
3 objectives? Can we achieve non- discrimination  
4 open access transparency? It matters less who  
5 does it, than being able to achieve those  
6 objectives. Possible new boundary definition, for  
7 federal/ state jurisdiction. Now, if you look at  
8 this, say local distribution area, and there's a  
9 market there, well, there may be things in there  
10 that look like sales for resale. Is there a way  
11 to kind of rethink the federal state boundary, so  
12 that a state could regulate local distribution  
13 level markets? I don't know. But it's a question  
14 I think is worth asking. Could reliability  
15 responsibilities be layered? This goes to the  
16 laminar decomposition again, idea. Is there a way  
17 to say, you know what, you're a micro grid. You  
18 can -- you can opt out of resource adequacy.  
19 You're responsible for your own load. Take  
20 responsibility for it. And if you don't have --  
21 if you can't get enough supply from the grid, well  
22 then you'll have to Island. You know, we could

1     make arrangements like that, so that the layered  
2     responsibility enables a much simpler level, once  
3     you have high -- a simpler arrangement for  
4     operation, once you have high levels of these  
5     things. So, a micro grid say, taking  
6     responsibility for its own reliability. Grid  
7     architecture tools. I've been talking with Jeff  
8     Taft now for a number of years, so I've sort of  
9     absorbed some of his ideas. But, if you take this  
10    problem as transforming today's ISO and DSO roles  
11    and responsibilities, to transform into some  
12    future coordination framework, well, there are  
13    certain system qualities we'd like to achieve in  
14    doing that. So we define, what are the  
15    objectives? And, I think everything needs to  
16    start from that perspective. The discussion this  
17    morning, where Mr. Cerf raised the question of,  
18    just because we can do it, does that mean we  
19    should? So, let's think about, what is it we're  
20    trying to accomplish? What do we want to  
21    accomplish? How do we want the system to work?  
22    What benefits do we want it to produce? I put

1     some words in there. You can, you know, you can  
2     come up with whatever ones you like. But, stated  
3     objectives. Now, those will play out within a  
4     policy context, because there's federal and state  
5     policies. Maybe even local policies, to  
6     incentivize certain things. And those two outer  
7     arrows mean these things are interplaying with  
8     each other. Hopefully, the desired qualities go  
9     into shaping the policies that are enacted. But  
10    then once the policies are enacted, they have  
11    impact back the other way, and start to shape also  
12    the qualities, because, you know, you don't get  
13    the policies perfect. And then all of this  
14    happens within an external context. What's  
15    happening with ecosystem and resource constraints,  
16    which may get more stringent as the years go on?  
17    Global demographic and economic trends. How are  
18    those things shifting? Technological advances and  
19    availability. Geopolitics. One of my favorite  
20    questions, back last year, I went to one of the  
21    workshops on the DOE Grid Modernization Lab  
22    Consortium. And one of the early presentations

1     had a banner on the first slide that said, a 21st  
2     century economy needs a 21st century grid. So, we  
3     started the discussion on, what's a 21st century  
4     economy? Is it looking like all the stuff that we  
5     do today? Only we're going to do it with clean  
6     energy? But we're going to keep doing the same  
7     stuff? And if the economy is a driver of the grid  
8     that we need, shouldn't we be talking about what  
9     that economy looks like? What will economic  
10    activity be in this future? What happens if we  
11    have automated vehicles? And, you know, 30  
12    million men in America are put out of work,  
13    because they don't have things to drive anymore.  
14    How does that change the economy? So, it's these  
15    bigger questions that go into designing these much  
16    smaller ones, which is what he wanted DSO to do.  
17    So, the future grid then may be a layered  
18    hierarchy. This is one of my favorite diagrams.  
19    Smart buildings. Each building can be an  
20    optimizing subsystem, with all the devices and  
21    equipment. This is a user centric view, or a used  
22    centric view of energy. In other words, why does

1       this building need energy? What does it want to  
2       do with it? Space conditioning. Lighting.  
3       Running equipment. Whatever. And, in this future  
4       we're seeing, they'll be more and more equipment  
5       and control technologies and so on. So it might  
6       be able to meet 30, 40, 50, 60, 70, who knows, how  
7       much percentage of its energy needs, just from  
8       local equipment. And now, the grid becomes the  
9       residual supplier of energy, not the primary  
10      supplier of energy. And the Smart building is  
11      optimizing itself. Micro grids, you could have a  
12      University campus, and it's got 15 Smart buildings  
13      inside it. Each of the buildings is optimizing,  
14      but then so is the operator of the micro grid.  
15      That's now inside the local distribution area,  
16      operated by the DSO. The interesting thing is,  
17      that the DSO can look at the micro grid as a  
18      single interface point. It doesn't need to be  
19      concerned with what's inside. Now, each of these  
20      DSO's has a local connection at the T-D interface  
21      with the ISO. There's the balancing authority  
22      area. And the ISO is connected in some regional

1       interconnection to other balancing authority  
2       areas. In the west, we have 38 of them. Each  
3       tier only needs to see interchange with the next  
4       tier above and below. Not the details of what's  
5       inside. The ISO then focuses on the regional bulk  
6       system optimization, while the DSO coordinates DER  
7       behavior. This layered or laminar control  
8       structure reduces complexity. Allows scalability.  
9       Increases resilience and security and the fractal  
10      structure mimics nature's design of complex  
11      organisms and eco systems. We kind of work that  
12      way. And that's all. Next.

13               MR. PALADINO: Lorenzo that was great.  
14      There was a lot of information there. It  
15      stimulated a lot of thought. So thank you very  
16      much. Appreciate that. Next, we're going to have  
17      Arnie Quinn, who's the Director of the Office of  
18      Energy Policy and Innovation at FERC. Thanks  
19      Arnie.

20               MR. QUINN: Thank you for the invitation  
21      to participate. I have to start with my standard  
22      disclaimer that my opinion reflects my own views.

1       It does not represent the opinions of FERC or any  
2       of the two remaining Commissioners.

3                   (Laughter) So I think a lot of what  
4                   I have to say probably fits  
5                   principally into -- to maybe  
6                   different words, but the same ideas  
7                   that Lorenzo went through. So,  
8                   I'll try not to be repetitive, and  
9                   I'll focus a little bit more on  
10                  maybe areas that -- where we've  
11                  seen things develop slightly  
12                  differently than they've developed  
13                  within California. And then, spend  
14                  a little bit more time on our  
15                  recent notice of proposed rule on  
16                  aggregated Distributed Energy  
17                  Resources and energy storage. At  
18                  the very highest level, I think  
19                  from the FERC perspective, we're at  
20                  a fairly early stage of mass  
21                  penetration of Distributed Energy  
22                  Resources. My sense is that we --



1           we're seeing various models emerge.  
2           So, you've got a model emerging out  
3           of California. You see different  
4           kinds of work out of the -- New  
5           York. And most of the other ISO's  
6           are just beginning to think about a  
7           lot of these issues. My sense is,  
8           and my suspicion is that, what  
9           we'll see in terms of evolution, is  
10          that as various commercial and  
11          system needs materialize and become  
12          urgent, those will be the needs,  
13          both commercial and system, that  
14          will drive the evolution. Whether  
15          we're kind of doing that minimal  
16          DSO that Lorenzo talked about. Or  
17          whether we're doing that kind of  
18          full DSO that he talked about.  
19          From the federal regulator  
20          perspective, I think we see these  
21          issues, and again, these were the  
22          themes that, I think, overlap a lot

1 with what Lorenzo said. Along  
2 three categories. Visibility or  
3 situational awareness.  
4 Coordination. And then market and  
5 value -- valuation opportunities,  
6 or barriers to distribute the  
7 energy resources participating in  
8 wholesale markets. I'll talk  
9 through each one of those things a  
10 bit. And then connect it into what  
11 we did in our notice of proposed  
12 rulemaking. This ability or  
13 situational awareness, I'll point  
14 out that the ISO/ RTO Council put  
15 out a paper about a week or two  
16 ago, about emerging technologies,  
17 where they focused a lot about  
18 their needs for situational  
19 awareness and what that means for  
20 the tools that they need to employ.  
21 For many ISO's, DER output looks  
22 like negative load or net load.

1           And so, the way to think about it  
2           is, any place where an ISO needs to  
3           know what the load is, is a place  
4           where they need to understand  
5           what's happening with the DER.  
6           From an operational perspective.  
7           From a transmission planning  
8           perspective. Even from a resource  
9           adequacy perspective. That  
10          visibility can come in a couple of  
11          forms. And the form it takes has  
12          cost impacts for the Distributed  
13          Energy Resources themselves. It  
14          can be as simple as information  
15          sharing. It can be as expensive as  
16          telemetry and mirroring. And to  
17          some extent, the degree to which  
18          you do either one of those, might  
19          depend on the degree to which that  
20          DER wants to get credit in  
21          compensation for providing  
22          something to the system. And so

1 I'll give you an example from ISO  
2 New England, because I don't think  
3 there's any from ISO New England  
4 here. So, if I get it wrong, I  
5 won't be corrected. They had a  
6 tariff rule that said, if  
7 Distributed Energy Resources,  
8 Massachusetts is doing a decent  
9 amount with solar PV. If  
10 Distributed Energy Resources were  
11 willing to be telemetered, so that  
12 the ISO could see them in real  
13 time, then the local load serving  
14 entity would get capacity credit  
15 for that DER. And that meant that  
16 they wouldn't have to go into the  
17 capacity market and buy that  
18 capacity. They'd get credit in the  
19 first auction three years forward  
20 for that DER output. That's an  
21 expensive proposition. And most  
22 DER's didn't do that. Just last

1 year, ISO New England decided that  
2 it wanted to update its capacity --  
3 its load forecast for this capacity  
4 market, to include its expectations  
5 about DER growth. That meant  
6 though, that no individual LSE was  
7 going to get credit for that DER.  
8 But the market overall, wasn't  
9 going to buy too much capacity.  
10 So, there was simple information  
11 sharing. But the implication was  
12 that, there was kind of a spread  
13 benefit to the market and no  
14 individual market participant got  
15 benefit. On the coordination side,  
16 again from the federal perspective,  
17 the first instance what we're  
18 worried about and what I see ISO's  
19 worried about, is that what's  
20 happening on the distribution  
21 system doesn't negatively impact  
22 what's happening on the

1 transmission system. And, again,  
2 for the very early stages, that's  
3 the number one concern. And a lot  
4 of that concern, again, goes to  
5 just enhanced visibility. So low  
6 penetrations, more visibility,  
7 probably helps with that first  
8 coordination question. When we  
9 allow DER to participate in  
10 markets, then the coordination  
11 problem goes the other direction.  
12 You want to be sure that whatever  
13 the DER are doing as they  
14 participate in the wholesale  
15 market, aren't causing problems  
16 back down in the distribution  
17 system. And then finally, on the  
18 market side, I think it's still yet  
19 to be seen how much of the  
20 valuation -- the value proposition  
21 for DER, will go to ability to get  
22 revenue from the wholesale market.

1           You know, of those stacked values  
2           that Lorenzo talked about. How  
3           many of those stacked values are at  
4           the wholesale market? And how much  
5           -- how important are those stacked  
6           values? But, on the flip side of  
7           that, as a federal regulator, you  
8           want to worry that you're not  
9           creating rules that prevent that  
10          value stream from being available.  
11          And you want to make sure that that  
12          value stream, if it's important, is  
13          there. Because if that's the thing  
14          that drives the commercial  
15          viability of DER, you would be bad  
16          to have that wholesale market  
17          opportunity not available. And, I  
18          think the more the wholesale market  
19          is important for DER value  
20          proposition, then those  
21          coordination issues and that  
22          visibility issues, those things are

1 going to materialize and become  
2 important. So, that kind of leads  
3 us to the Notice of Proposed Rule  
4 that the Commission did last  
5 November. At the very highest  
6 level, all the Commission did was  
7 require ISO's and RTO's to create  
8 an opportunity for aggregators of  
9 Distributed Energy Resources to  
10 participate in wholesale markets  
11 and provide all the services that  
12 they're technically capable of  
13 providing. So it's, to some  
14 extent, creating tariff provisions  
15 that say that an aggregator of DER  
16 is a market type. That market type  
17 can go do these services. And  
18 doesn't create any barriers that  
19 says, well, you can only provide  
20 these two services, because we've  
21 decided on the front end, that  
22 we're going to limit -- limit the



1 things we let you do. But, of  
2 course, when that, as I kind of --  
3 to go work backwards on the three  
4 areas that we've -- we talked  
5 about, once you create that  
6 participation opportunity, then  
7 there are issues about coordination  
8 and visibility that come along. So  
9 the Notice of Proposed Rule then  
10 also proposed certain elements that  
11 ISO's would have to create to make  
12 that participation possible. One  
13 thing I will emphasize, as we were  
14 doing that Notice of Proposed Rule  
15 and some of the conversations we've  
16 had since then, you know, an  
17 important element for the  
18 aggregator's of Distributed Energy  
19 Resources, is this desire to be  
20 able to provide value by kind of  
21 dispatching the set of the  
22 portfolio resources that they have,

1           in a way that they think is  
2           optimal. And so, a lot of them  
3           have talked about the desire to  
4           say, have 15 megawatts of resources  
5           or capability, but maybe only  
6           provide 10 megawatts of service to  
7           the wholesale market, and then use  
8           their software and their algorithms  
9           to decide which of the resources  
10          they've got, are going to provide  
11          that 10 megawatts. And that desire  
12          drives some of the things you see  
13          in the NOPR. And then some of the  
14          requirements on coordination and  
15          visibility. So the NOPR requires  
16          the ISO's to establish locational  
17          requirements for the aggregations  
18          of Distributed Energy Resources.  
19          You know, especially in wholesale  
20          electricity markets, compensation  
21          and valuation is very location  
22          specific. So to some extent, you'd

1           really need to know exactly where  
2           those resources are, so that the  
3           compensation is right. But other  
4           products, like some of the reserve  
5           products, are not very locationally  
6           specific. They're either ISO wide  
7           or they're zonal. So that  
8           locational requirement is not as  
9           important. So, the NOPR simply  
10          required the establishment of  
11          locational requirements that are as  
12          geographically broad as technically  
13          possible. And, then we'll leave it  
14          to the ISO's to figure out what  
15          that means, if that proposal ends  
16          up becoming a final rule. But that  
17          also then goes to one of the things  
18          Lorenzo mentioned about outages.  
19          The idea would be, that if there is  
20          an outage on the distribution  
21          system that knocks out a set of  
22          resources in an aggregator's

1 portfolio, that rather than have to  
2 go from day ahead into real time  
3 with not enough energy and  
4 experience the (inaudible) that  
5 goes along with that, the DER  
6 aggregator would be -- be able to  
7 re-optimize its portfolio, and  
8 still provide the level of service  
9 that it committed to on a day ahead  
10 basis.

11 Second thing that the Notice of Proposed  
12 Rule did, was discuss and require some of the  
13 establishment of metering and telemetering  
14 requirements. The NOPR -- and a lot of the  
15 details in the aggregation of DER, part of the  
16 NOPR didn't get into a lot of detail, but rather  
17 established principals. And asked the ISO's to  
18 kind of comply with those principals. So, we  
19 didn't require anything specific on telemetering  
20 or metering. Simply, require that ISO's create a  
21 tariff provision, and identify in a transparent  
22 way, what those metering requirements were going

1       to be. And do so in a way that wouldn't  
2       unnecessarily limit the ability for aggregators to  
3       enter into the wholesale market. And then,  
4       finally on coordination, this is where again, a  
5       lot of the things that Lorenzo said, kind of fall  
6       into the NOPR. That there's going to be --  
7       there's going to have to be some amount of  
8       coordination. NOPR recognizes that the ISO's  
9       going to have to establish a coordination regime.  
10      That coordination is going to be between the RTO,  
11      the aggregator and the distribution utility. That  
12      coordination goes both to registering of resources  
13      so that the distribution utility knows what  
14      resources are in the aggregation on the front end.  
15      But also requires that those requirements don't  
16      unnecessarily limit the ability of the aggregator  
17      to change that portfolio of time. One concern was  
18      that, if that registration process is particularly  
19      onerous, that the -- that the aggregator will have  
20      a harder time being dynamic in creating its  
21      portfolio. And also, to some extent, recognizes  
22      that the distribution utility has an incentive.

1 Or could have a financial incentive to limit the  
2 ability of the aggregator to -- to be commercially  
3 viable. And then also, that coordination has to  
4 go around operations. And so, there's a real  
5 question about information flow. The NOPR, I  
6 thought, interestingly takes the tact that, in  
7 terms of coordinating how the aggregator will  
8 react to outages on the distribution system, the  
9 NOPR proposal is that the aggregator would be  
10 responsible for managing that coordination. So  
11 that the aggregator would have to get information  
12 about the outage on the distribution system, and  
13 then use that information to tell the ISO that  
14 part of its fleet won't be available. Either on a  
15 next day basis for planning. Or if it's already  
16 gotten an award, so as it goes into real time.  
17 And then finally, on the coordination section, we  
18 welcome comments on whether a Distribution System  
19 Operator would facilitate the coordination that we  
20 talked about in the NOPR. Or whether it was  
21 necessary or not necessary. Or, a fairly broad  
22 question about what role a Distribution System

1 Operator can play in that coordination process.  
2 And again, this highlights, I think, a lot of what  
3 Lorenzo talked at the end. But I'll try to create  
4 kind of the distinction on what we heard as we  
5 were doing outreach, how that went into the NOPR.  
6 The third party aggregator's really see their  
7 value proposition as dynamically changing the  
8 portfolio that's providing the service. And, one  
9 of the storage providers, or the DER providers  
10 that we talked to, actually talked about  
11 themselves as more of a software provider than  
12 anything else. And they put a lot of time and  
13 effort into creating that optimization software.  
14 And they want to be the font of that. They want  
15 to be the font of the coordination between that  
16 set of resources and the ISO. And they drive a  
17 lot of commercial value out of being the center of  
18 that coordination. So, I think early on, what you  
19 could see, is aggregators as their commercial  
20 needs start to deride the evolution, potentially  
21 crowding out the role of a Distribution System  
22 Operator, in providing that -- that coordination.

1 But, you -- but there's also a recognition that  
2 the Distribution System Operator might be the  
3 efficient way to move the -- all the information.  
4 So I think it -- it highlights that there is this  
5 tension between the role the aggregators might  
6 play, and the role the Distribution System  
7 Operator might play. And where you're getting  
8 commercial value versus where you're getting  
9 operational efficiency. And it's possible that  
10 there will be no tension there. But it's also  
11 possible that there will be tension. And I think  
12 the Commission's staffers were doing and the NOPR  
13 were aware of that, some of the things that we did  
14 in the NOPR, kind of recognized that possible  
15 tension. So, I'll simply mention that we received  
16 comments on the NOPR on February 13th. And we're  
17 now just doing the process. We're reviewing the  
18 comments. The staff is considering what we heard.  
19 Contemplating what next steps would be. And, if  
20 we ever get a full commission, we would provide  
21 recommendations to that full commission on what to  
22 do next. So, just to wrap up, I think it's



1 possible that all of this could develop fairly  
2 organically. That some RTO's will go faster than  
3 other RTO's. As RTO's that are going, you know,  
4 kind of at a more deliberate pace. Those  
5 operational and commercial needs will materialize.  
6 Those will be addressed. There won't necessarily  
7 need to be a grand plan in place ahead of time.  
8 That that grand plan might just get put in place,  
9 step by step, as those needs get identified. And  
10 the needs become addressed. But clearly,  
11 throughout the process, there's going to be a need  
12 to coordinate amongst not just the Distribution  
13 System Operator and the Transmission Systems  
14 Operator. But, the people who regulate those  
15 entities and the stakeholders are a part of that  
16 entire group. Thank you.

17 MR. PALADINO: Again, that was a lot of  
18 information. And it's really -- it's a little bit  
19 challenging to figure out how to compartmentalize  
20 the conversation. Where do you start? Do you  
21 start with valuation? Do you start with  
22 coordination frameworks? Where -- where does this

1 conversation begin? But, to our next speaker,  
2 Woody Rickerson is the Vice President of Grid  
3 Planning and Operations at ERCOT. Thanks Woody.

4 MR. RICKERSON: Well thank you. Thank  
5 you to John and to the Committee for inviting me  
6 here today. So, I'm going to give you kind of --  
7 ERCOT's a little bit different. We're going to  
8 give you a short overview of ERCOT. And then show  
9 you that what we're doing with DER. One of the  
10 things you'll notice with this -- with the things  
11 I give you today, is that DER is kind of an  
12 emerging condition in ERCOT. It's not something  
13 that is on fire and at the forefront of what we're  
14 -- what we're dealing with. But, as you go  
15 through this with me today, you'll see that. So,  
16 ERCOT, just some - - just kind of a quick  
17 overview. (inaudible) not synchronously  
18 connected, obviously. A 71,000 megawatt peak. It  
19 serves about 90 percent of the load in Texas.  
20 About 75 percent of the load is in competitive  
21 choice areas. We have about 17,000 megawatts of  
22 installed wind now. Which is one of our major --

1     probably our major challenge. We've seen 16,000  
2     megawatts of that online at one time with a system  
3     penetration of almost 50 percent. If we hadn't  
4     curtailed it, it would have been more than 50  
5     percent. So, I know other places have had more  
6     than 50 percent penetration. But, I would say  
7     that they're not an Island. (Laughter) So, we take  
8     a lot of pride in the fact that we've been able to  
9     manage to that level of penetration. Solar is  
10    another emerging new type of resource. Not to the  
11    extent that -- that wind has in, but we see a much  
12    more rapid expected growth of solar in the coming  
13    years. So, that's kind of a quick overview of the  
14    ERCOT system. So, in the outline, what I'm going  
15    to talk about today is the existing electricity  
16    market and the processes that we have. What we  
17    see in DER at ERCOT. The potential effect that  
18    DER could have on our operations and planning on  
19    our market. And the kind of a vision of what we  
20    have laid out is our future. So, moving on. So,  
21    ERCOT and the market -- wholesale market. So,  
22    transmission connected generators, over 10

1 megawatts, are required to register as generation  
2 resources. And they're paid on locational  
3 marginal prices. LMP's. As we calculate it in  
4 SCED. We don't have a capacity market. It's an  
5 energy only market. Ancillary services are  
6 procured in the Day-Ahead, and are paid hourly,  
7 clearing prices. So, DER's that are less than 10  
8 megawatts, may choose to register as a generation  
9 resource to participate in the SCED. Or ancillary  
10 services. Otherwise, they're considered part --  
11 they're just considered a passive participant.  
12 We've had a very, very, very few number of DER  
13 that have chosen to register as -- as what we call  
14 a -- a GR, Generation Resource. Something that we  
15 had to define. DER's not registered as Generation  
16 Resources are paid zonal prices. Not LMP prices.  
17 So they're paid the same price that load pays.  
18 And it's a weighted average of LMP prices in the  
19 zone that they're located. ERCOT models the  
20 transmission grid, down to the 69 KB level. But  
21 we don't have anything on the distribution. We  
22 don't model any distribution. So, in the ERCOT

1     grid, there is -- ERCOT model, there is a -- what  
2     we call a CIM, a Common Information Model load.  
3     That CIM load encapsulates what's in the  
4     distribution. And so those DER that aren't  
5     registered as Generation Resources are captured in  
6     that -- in that CIM load. The Common Information  
7     Model load. I threw this in just so you could  
8     see, these are the load zones in ERCOT. So, a DER  
9     that has registered as a Generation Resource,  
10    that's maybe up here San Antonio area versus the  
11    valley area. You get paid the same price, even  
12    though the LMP's may be completely different in  
13    those areas. But they would get paid the same  
14    price, if they aren't registered as a Generation  
15    Resource. So the retail market, about 75 percent  
16    of ERCOT's loads are in competitive choice areas.  
17    About 25 percent are what we -- are in what we  
18    call NOIE's. Or Non Opt-in Entities. They're  
19    usually municipal owned utilities, or electric  
20    cooperatives. And they've chosen not to offer a  
21    competitive choice to their customers. They go  
22    out as one big customer, and represent their

1 customers. Retail electric providers are the ones  
2 that offer the competitive choice. They may offer  
3 service to any load operating in the competitive  
4 area. The Public Utility Commission provides the  
5 power to choose a website where you can go get the  
6 information on for REP comparisons. Go out and  
7 get the kind of rates you want. The kind of power  
8 that you might want. A distribution service  
9 provider may provide distribution services to  
10 consumers served by many different REP's. So a --  
11 they may have hundreds of REP's in their service  
12 areas. Which causes a lot of confusion actually  
13 for the customers, when they go back and forth  
14 between the wire company, the delivery company and  
15 the REP. Which I think could actually cause some  
16 confusion with the DER eventually as well. This  
17 is a quick little map to show you the competitive  
18 versus the NOIE areas. So the blue actually there  
19 is the -- is the NOIE area. So we have a lot more  
20 area. But there's not much in those areas. So  
21 the Houston, Dallas, a lot of the large  
22 metropolitan areas are all in competitive areas

1       where they have retail choice. That's those green  
2       areas.

3               So, growing Distributed Energy  
4       Resources. So, like I said, this is an emerging  
5       condition at ERCOT. Approximately 900 megawatts  
6       of DER's in competitive areas. About 200  
7       megawatts in NOIE areas. So we kind of have the  
8       luxury of sitting back and listening to what's  
9       been done in other places. And forming our  
10      strategy based on some of the things that have  
11      been done in other places. You can break those  
12      DER's into two basic groups. There's  
13      self-dispatched generation. What we see in ERCOT  
14      is, and maybe other places as well, is a lot of  
15      the self-dispatched generation is providing  
16      back-up power for critical infrastructure.  
17      Hospitals or things like that. And it's often  
18      responding to prices. There are less than 200  
19      units in operation. And approximately 70 inject  
20      into the grid. The other group is just  
21      intermittent generation. Primarily rooftop solar.  
22      Typically offsetting native load. Exporting

1       (inaudible) generation during light load  
2       conditions. There are an estimated 23,000  
3       locations representing about a fifth of the -- not  
4       generations. It says "sites" there. It should  
5       say "generation." So that's kind of where ERCOT  
6       is in the DER world. Like I said, we're just  
7       beginning to -- to see this emerge as something we  
8       have to pay attention to. So, some of the  
9       potential effects we see in -- on our grid  
10      operations and planning. The current DER  
11      penetration represents about 1.4 percent of total  
12      generated capacity. So, theoretically you could  
13      see one and a half percent of our load being  
14      served by DER at some theoretical point in time.  
15      It would have to be at peak. But, potentially,  
16      you could see something like that. Increased --  
17      and so, DER dispatch already affects congestion.  
18      If you think back on that load map that I showed  
19      you, I'll give you guys a story. I was in the  
20      control room with an operator during kind of a  
21      critical time. And the operator on the  
22      transmission desk said, hey, come here, I want to



1       show you something. And he's sitting there with  
2       his -- the other operator. And they're looking at  
3       the -- they're looking at the congestion screen.  
4       And they're looking at the price map up on the  
5       wall board. And he says, watch this. That's  
6       going to go down by -- by -- the congestion's  
7       going to go down by 40 megawatts and the price is  
8       going to go down by \$100. And they almost went to  
9       the point where they were counting down. Ready.  
10      Sure enough, it happened. And of course, those  
11      LMP's are being calculated all the time. And I  
12      asked them, well, what was that? What changed?  
13      Because nothing else changed on the generation.  
14      He said, that was a DER. And so, there are points  
15      on the grid already, where we're seeing DER coming  
16      on, responding to, not to an LMP, but to a load  
17      zone price. But affecting LMP's. And so we're  
18      already seeing points. And they're -- it's almost  
19      like a rock sticking up above the water. There's  
20      a lot more underneath the water. But, there's a  
21      couple of points where they're starting to stick  
22      up now. And we're starting to see some problems.

1 And, when an operator calls you over and says,  
2 watch this, but he can't tell you from another  
3 screen what changed to show you that, then you  
4 know you've got some -- some things going on in  
5 the load that -- and that's that DER. So that's  
6 one of the things I wanted to point out today, is  
7 that we're already seeing in a few isolated points  
8 in time, the DER can affect congestion and prices.  
9 Increased -- the second point there, is increased  
10 error in load forecasting and load adaptation and  
11 state estimation results. So, you know, load  
12 forecasting obviously, if you don't know what  
13 comprises of your -- what your load is comprised  
14 of, and what the DER penetration is, it makes it  
15 very hard to -- to do forecasting. Accurate  
16 forecasting. And load adaptation is the same way.  
17 Our load forecasting will learn adapt from  
18 previous days. And so you can imagine a Texas  
19 summer, where you have multiple 100 degree days,  
20 and all that rooftop solar is running at high  
21 output. And then the fifth day, which has a  
22 forecast based on what's been covered up the

1       previous four days, we had the same conditions,  
2       and then a thunderstorm comes over. And all of a  
3       sudden, the solar is gone. And the load doesn't  
4       change very much. And our load forecast is blind  
5       to that. And the load -- the load adaptation  
6       makes it even worse. So that's another concern  
7       with DER.

8               State estimation results. We currently  
9       aren't able to estimate a negative load. So  
10      that's a -- a -- if you have a -- if you have DER  
11      putting power back onto the transmission grid, we  
12      currently -- not that we can't, but we currently  
13      don't have that in our energy management system.  
14      That's something we'll have to change. Another  
15      bullet here, is the incorrectly modeled response  
16      to faults and system disturbances. And maybe  
17      what's even more concerning in this area, is that  
18      we're tuning our existing models for generators,  
19      based on the responses that we actually see, which  
20      are influenced by DER, that we don't know about.  
21      So we're inaccurately tuning the existing models  
22      to compensate for something that we're not

1 monitoring. That's a problem. That's something  
2 we're going to have to change. Lack of  
3 coordination during system restoration is another  
4 instance. What happens during a black start, when  
5 we -- especially during our simulations for black  
6 starts, when you have unaccounted for DER that  
7 suddenly crops up on the system. How do you  
8 coordinate that? When you're operating with very  
9 small Islands during a restoration, the stability  
10 of those Islands in three or four or five  
11 megawatts make a big difference. And so, the  
12 coordination during system restoration is  
13 something that we have, at least in theory, think  
14 it's going to be a real problem. Hopefully, we'll  
15 never have to put that into practice. But when we  
16 do our simulations, we would like to start  
17 incorporating that. Over operation of voltage  
18 control equipment, not coordinated with active  
19 resources. We recently started a -- a project to  
20 optimize our switching of reactive devices. But  
21 one of the things that we are lacking, is  
22 information about load, especially as DER is

1       related. So that's a major input to this project,  
2       that if we had started that project 10 years ago,  
3       it would have been a much more straight forward  
4       project. The project is much more complex now  
5       with DER involved, than it would have been 10  
6       years ago. And, maybe out of all of these, maybe  
7       the most pressing for ERCOT is planning. I mean,  
8       we're planning a future system today. We're  
9       deciding where transmission is terminated and  
10      started and where it's needed, based on load  
11      forecast for five and ten years from now. We're  
12      not incorporating DER into that forecast with --  
13      it's being incorporated, but it's being  
14      incorporated in a -- a net way that we can't  
15      quantify. And that's a real concern, because we  
16      say that DER is not a reliability problem for us  
17      today. But today, we're making decisions about  
18      transmission lines from where they terminate, and  
19      transformers and all kinds of -- all parts of the  
20      grid five and ten years from now, when we will  
21      have needed to have known that. So that's a --  
22      that's a -- probably the most pressing area for us

1 right now, is how do you incorporate the DER in  
2 transmission planning? Like, what differences  
3 would it make, if you knew that a northwest side  
4 of a city might have a high penetration of DER?  
5 What differences would that make in how you plan  
6 for transmission lines that might be terminated in  
7 that part of the city? Potential effects on  
8 markets. Existing market. We do not include  
9 DER's in price formations at all. Someone could  
10 argue maybe that we do indirectly. But there is  
11 no direct. There is no direct price formation  
12 with DER's. There's no LMP's. Failure to apply  
13 LMP pricing to distribution injections could lead  
14 to conflicting price incentives. An example of  
15 that is a -- let's say we have a -- a congested  
16 transmission element that's in one zone. The  
17 north end of the zone and the south end of the  
18 zone have the -- or the north end of the congested  
19 element and the south end, have the same price.  
20 And yet, we want stuff at the north maybe to run.  
21 And stuff at the south to turn off. And we don't  
22 have a mechanism to provide that price incentive

1       for those DER's.

2               Finally, the current market has price  
3       spikes from ramping requirements exceeding modeled  
4       resources as we increase the number of resources  
5       that are non-responsive, that's just going to get  
6       -- become worse. So that's another -- that's  
7       another issue that's going to aggravate that  
8       situation. So, a vision for ERCOT's future.  
9       ERCOT's plan for integrating DER's does not  
10      involve the modeling of distribution circuits.  
11      We've looked at modeling of distribution. We've  
12      looked at what it would require. ERCOT and  
13      coordination with TSP's, we would just -- we would  
14      assume a registered DER or unregistered cluster of  
15      DER would be normally located at specific CIM  
16      load. That CIM is that Common Information Model  
17      load. We currently have a modeling system in  
18      place that uses the CIM loads and applies them for  
19      any point in time in the future. So, accumulating  
20      that information in the CIM load, will aid our  
21      operations and our planning. As well as the  
22      building of dynamic models and things like that.

1     Because it all comes from the same database. So,  
2     some of the problems with this on dense  
3     distribution systems, this assumption may be  
4     violated. You know, what kind of risk does that  
5     involve? This is the DER's that are on one side  
6     or the other of a normally open switch. And you  
7     switch it to do maintenance. And now that that  
8     DER is now subject to a different LMP, we are  
9     currently in this initial plan, not going to try  
10    to capsule the switching of the distribution  
11    system. We're going to assume that they're right  
12    most of the time. Should there be a mechanism for  
13    the transmission ISO to exercise some level of  
14    control over groups of distributed resources? How  
15    do you accomplish that in a market environment?  
16    Our main way of controlling generation now, is  
17    through pricing. LMP's. How do you get those  
18    price LMP's down to the distribution level? How  
19    should reactive and transient contributions of  
20    distribution resources be included in grid  
21    reliability and market studies? The main problem  
22    we have there, is that when you go by your solar



1 unit to put on your house, you're not anticipating  
2 providing ERCOT with a bunch of operational data.  
3 That's the problem. Is those things have dynamic  
4 characteristics that affect the grid. And  
5 generation resources that put plants on the grid  
6 understand that, and provide us with the  
7 information we need to operate the grid. DER is  
8 going to have to be done in a different way. And,  
9 like I mentioned before, how should transmission  
10 planning include DER's in the transmission  
11 planning? How do we do that? So those are some  
12 of the problems. Here's kind of what we've put in  
13 place at this point. And where -- this is kind of  
14 a preliminary plan we're working with our TSP's.  
15 That's why I say, in concurrence with market  
16 participants, that there are a lot of discussions  
17 going on right now. But step number one is to  
18 model in our modeling system all the registered  
19 DER's. Which is about half of what we've got from  
20 a capacity standpoint. So these are the larger  
21 DER's. So we would model those as an attribute of  
22 the CIM load. And we would provide them with an

1       LMP. So the ERCOT CIM currently has over 5500 CIM  
2       loads. And we also have the luxury of  
3       incorporating lessons learned from higher  
4       penetration RTO and ISO's. So that's step #1. I  
5       think we have agreement on that. We're moving  
6       forward with that. Step #2 is to develop a  
7       standardized method for collecting appropriate  
8       data for future unregistered DER unit  
9       accumulations. So, giving the TSP's and the  
10      co-ops and the municipals and all the different  
11      people who have that to provide reporting that's  
12      consistent. That's our next step. How do you do  
13      that? It seems like that should be something that  
14      we should be able to get fairly easily. But,  
15      reporting costs money. And, small co-ops and  
16      municipals may not have the personnel to provide  
17      detailed reporting that other places -- and even  
18      larger TSP's will often check us and say, wait a  
19      minute. What you're asking us to do takes money.  
20      Takes time. Takes effort. Where's that going to  
21      come from? And so those are some of the  
22      discussions we're having now. Step #3 would be

1       once we get the reporting in place, to establish  
2       thresholds, where accumulations reach a point  
3       where they need to be modeled. I think there's a  
4       -- there's kind of an agreement that CIM loads  
5       with low penetration levels, probably don't need  
6       to be modeled yet. We only need the ones where  
7       they're getting to the point where they could  
8       inject, or they could affect load forecasting or  
9       planning. So, what is threshold? How high is  
10      that? And who reports it? And so those are the  
11      steps that we have in place now. Like I said, we  
12      are just beginning this process. This is a great  
13      place to come and gather information. Hear what  
14      other people are doing. But that's where ERCOT is  
15      now. Thank you.

16               MR. PALADINO: Our next speaker is Mike  
17      Bryson. Vice President of Operations at PJM.

18               MR. BRYSON: Thank you. And thanks for  
19      inviting us. So one of the things, again, we are  
20      very, I would describe PJM as very immature in the  
21      DER space. And we probably got our feet wet about  
22      two years ago next week. I think it was April 7,

1       2015. I got a call from my shift manager.  
2       Actually, it was a text from my shift manager  
3       saying, DC just went black. And I said, I'm going  
4       to need to know more information than that. So.  
5       (Laughter) And so, you know, we started making  
6       phone calls. Talking to Pepco. And it turns out  
7       that we had an interface issue between a  
8       distribution co-op and a transmission owner down  
9       there. Lost some transmission lines. Lost  
10      nuclear plants. But, when we talked to people in  
11      DC, they're like no, lights are on here. What are  
12      you talking about? I said, well, we're showing  
13      you lost 500 megawatts. Pepco was saying the same  
14      thing. Well, it turns out, under the under  
15      voltage disturbance that happened, 500 megawatts  
16      tripped off and a couple of hundred megawatts came  
17      right back on, on back-up generation. There was  
18      like a couple of hundred megawatts of back-up  
19      generation in this area. And so, it -- from our  
20      perspective, you know, we were looking at --.  
21      Okay, we have things that are going out on the  
22      system there that we don't understand. We don't

1        know how to predict them. We don't know what's  
2        going on. So we did -- there was a, you know,  
3        certainly a lot of follow-up in terms of, you  
4        know, how some of that behaved. So we started  
5        looking at this saying, we need to -- we need to  
6        really start understanding, if nothing else, how  
7        distributed resources out on the grid behave. So,  
8        again, two years ago, we're still starting to get  
9        into it. Lorenzo's already writing papers about  
10       it. (Laughter)

11                MR. KRISTOV: I'm writing another one  
12       right now.

13                MR. BRYSON: Let's say, he's writing one  
14       right now. So. (Laughter) So, a couple of things  
15       I'm going to talk about that -- that some of those  
16       interface, when we talked to Joe, he said, we'll  
17       talk about some of the interface issues. So I'm  
18       going to try to add a little bit more color to  
19       some of the things you already heard. Because,  
20       fundamentally, a lot of the work I've been doing  
21       for the last 18 months, looks a lot like what  
22       Lorenzo wrote two years ago. So, they're way more

1     mature than we are. So, we're using a lot of  
2     their principals. I'll talk a little bit about  
3     the NOPR that Arnie mentioned too. And how that  
4     kind of interrelates. But just a couple of  
5     bullets on some of those issues from our  
6     perspective. I think Joe was surprised when he  
7     asked me this question. What do you think's your  
8     biggest interface friction? It's regulatory for  
9     us. It's clearly regulatory. The rules are all  
10    over the place. We are a multi-state  
11    jurisdiction, so, when you count the  
12               states, DC has their own commission.  
13    Add DC to that and, of course, add the two  
14    Commissioners that are there at FERC. So we have  
15    a lot of jurisdictions. And so the rules and the  
16    regulations, in fact, I often tell our technical  
17    teams, forget there's no -- think about there's no  
18    rules. Forget about the rules for the second.  
19    How would you do this? And then we'll try to  
20    figure out how we kind of work with the rules.  
21    And a big way we try to do that, is we talk to  
22    small micro-grids, a DER resource, and say, we're

1 willing to do pilots with you, so we can figure it  
2 out kind of under the radar. And then, we'll be  
3 able to inform some of the utility commissions and  
4 stuff, about how we can do this in terms of data.  
5 And one of the areas we've gone out to, is a lot  
6 of our municipals and co-ops, because they're  
7 really in a pretty good place to be able to do  
8 that. The DSO concept, again, all the things that  
9 you heard from Lorenzo, we're looking at that.  
10 And -- and kind of our philosophy is really, if we  
11 can add value in that space, great. But we don't  
12 want to compete with our utilities and our  
13 members. If that's an area they want to get in,  
14 and they're covering it, then we're there to help  
15 them. We're there to support them. But we don't  
16 want to compete. But, we also recognize, just as  
17 Lorenzo pointed out, that independence is  
18 important. There's a couple of places on the  
19 system that we know there's distribution level  
20 upgrades that are being planned. And some of the  
21 proposals are Distributed Energy Resources or  
22 storage. And when the utility who's proposing the

1       substation is also going to build the substation,  
2       who's the independent body that's going to select  
3       that? So, we think that's kind of an important  
4       part about it. The whole tariff rate model again.  
5       This gets back to the jurisdiction. But that's  
6       obviously important. And some of the things that  
7       Woody talked about is, how do you build that into  
8       the existing incentive structures? But the  
9       biggest one for us, next to that regulatory, is  
10      the visibility. And I'll talk about that a little  
11      bit -- a little bit more. I always think about  
12      the, you know, my three talking points about PJM's  
13      philosophy on Distributed Energy Resources, are  
14      really visibility, measure and forecast and  
15      incentives. And I'll talk about those a little  
16      bit more. Again, visibility for reliability.  
17      What we learned from that April 7, 2015 was, we  
18      don't necessarily know how all the load is going  
19      to behave. Because of a lot of -- and a lot of  
20      the DC agencies, essentially over the years, have  
21      put in back-up generation for resilience. And  
22      that's a great thing. But understanding that, in



1 the planning stage, is important for us.

2 This is something, again, kind of  
3 compiled from Lorenzo, so I'm not going to talk  
4 about that. You heard it. Let me jump into the  
5 visibility. Again, we have very limited  
6 visibility in what's going on from a DER point of  
7 view. But we're starting to develop that. One of  
8 the things that, when we responded to the NOPR, I  
9 told our team is, we have a lot of Demand Response  
10 on our system. Very mature Demand Response model.  
11 I think three years ago, I had 14,000 megawatts at  
12 demand response, going into summer operations.  
13 Some will say that's too much Demand Response.  
14 But we had a lot of it. But, we learned a lot of  
15 lessons over the years from Demand Response. And  
16 I said, those are really good lessons that we can  
17 learn as we're thinking about, what are the kind  
18 of rules we want to put in place for DER. Can  
19 they participate in the different markets? And  
20 again, very similar questions to what Woody talked  
21 about. We also have a capacity market, which is,  
22 you know, it's an incentive for the resource to

1 say that they're going to be there, three years  
2 down the road. So that we do our system planning.  
3 They sign up. They say they're willing to be  
4 there. We can plan for them to be there. General  
5 awareness of where the location is. One of the  
6 things I'll talk about, is this concept of  
7 telemetry versus data. And we recognize, we  
8 commented on the NOPR, is requiring telemetry is a  
9 high hurdle. It's very expensive. You know, a  
10 couple, again, we've been in the DER business for  
11 a while. And back in summer of 2015, unrelated to  
12 the blackout by the way. Summer of 2015, we had a  
13 stakeholder process, where we said, hey, we need  
14 to -- we need to make our Demand Response more  
15 operational, from a control room perspective. We  
16 need to know where it is. We need to be able to  
17 call it in shorter notice. Call it in smaller  
18 areas. Things like that. The pitchforks and the  
19 torches came out from Demand Response. You can't  
20 change the rules. It's discriminatory. So the  
21 only thing I got out of -- and I had a long list.  
22 I had like 28 things on the list that I wanted. I

1 got 30 minute notice. I can call them with 30  
2 minute notice. So I got them close to a, you  
3 know, a CT out there. But then what I did is, I  
4 went back to talk to our internal development. I  
5 pulled in my Demand Response team. I pulled a  
6 dispatcher from the floor. Our IT people. And I  
7 said, I need you to try to do for me with  
8 technology, what I couldn't get in terms of  
9 telemetry. And they put together this application  
10 called a Dispatch Interactive Map Application.  
11 And the thing about it, it is -- not only is it a  
12 good tool for our -- my operators. It actually  
13 allowed us to learn a lot more about what we  
14 actually needed from some of these Distributed  
15 Energy Resources. So just at a high level, they  
16 have their energy management system. But this is  
17 a system -- it's basically a map based system,  
18 with a lot of overlays. We can put gas pipelines  
19 on it. Transmission outages in real time.  
20 Weather. All those -- all the generator stations  
21 you can see on the right. It gives you  
22 information. But I said, can you put behind the

1 meter generation and -- and DR and all that stuff  
2 in there? I said, well the problem is, with  
3 Demand Response, the only thing I have is zip  
4 codes. I said, what can you do with zip codes?  
5 I'm like, oh, you know. So they went back, away,  
6 came back a couple of weeks later and said, we  
7 think we can do something with zip codes. We can  
8 actually map zip codes. So they actually  
9 literally took the 14,000 megawatts, and none of  
10 it is in big chunks, trust me. It's in kilowatts  
11 or, you know, smaller. Put it in database. And  
12 they set up a tool that -- and this interactive  
13 tool, the dispatchers can actually pull up a  
14 transmission constraint. So, a line went out. Or  
15 two lines went out. We have an impending storm,  
16 you know, something's going on. They can take a  
17 mouse, draw a loop around the substation. And up  
18 pops a list of the Demand Response that's in that  
19 area, and able to be called. And so we work with  
20 the transmission owner. Called distribution. I  
21 had my 30 minute rule. The one thing I got out of  
22 my 28 points. I can call them within 30 minutes'

1 notice. I can call kind of as small as I need it.  
2 And now, we have distributed resources that we can  
3 actually use to help manage transmission issues.  
4 We continued to develop this. But one of the  
5 things we realized with this is, I don't need ICCP  
6 data from the distributor. I just need data. I  
7 need some kind of data. And that's really what  
8 we're telling some of our pilot programs is,  
9 they're like, well what data do you need from us?  
10 I'm like, what do you have? Let's start with just  
11 tell us what you have. And then we'll see how we  
12 can make that work with this kind of a system. I  
13 don't know that I'm going to be able to put it in  
14 my distribution factor state estimator EMS. But I  
15 might be able to put it in here, and I can still  
16 use it to help make decisions and help with  
17 situational awareness. I told you it would be  
18 more colorful, didn't I? I had low color.

19 The second one. Measure and Forecast.  
20 So now, I have for visibility, again, in my mind,  
21 kind of the ground level is, I need to have more  
22 visibility and I'll take what I can get. But the

1 more I get, now I can develop some algorithms to  
2 measure what's going on. And potentially forecast  
3 what's going on. So just to look at things like,  
4 okay, now I have some data that tells me when  
5 there's an under voltage situation south of DC,  
6 that the certain amount of the load is going to  
7 switch to back-up systems. And start working with  
8 our transmission owners to figure out what that  
9 looks like. Some of it will be based on data.  
10 Some of it will be based on load modeling. But  
11 just understanding more of that, we'll now be able  
12 to forecast under certain conditions. Forecast,  
13 you know, a combination of what's going on with  
14 Demand Response. With Micro-grids. With  
15 Distributed Energy Resources. We just introduced  
16 a production level solar forecasting tool. We've  
17 had a wind forecasting tool for a while. And all  
18 that just gives us input into, again, not all of  
19 it's going to be in our energy management system.  
20 But, at least it's going to be in our situational  
21 awareness tools. And then, the next step is  
22 really in sending operational performance. So,

1     given all this stuff, now that we know how load or  
2     distributed resources may behave. And now that  
3     we've been able to measure and forecast it, is  
4     there ability for us to be able to incent  
5     behavior? So, if the price at that bus was  
6     higher, would you come off more often? Or things  
7     like that. So that's the idea here. Big -- a big  
8     thing, and going back to one of the first bullets  
9     I said was, we want to do this where appropriate.  
10    We've still got to figure out the regulatory  
11    issues. We don't want to compete with our  
12    members. But having said that, where it's  
13    appropriate, are there opportunities for us to  
14    incent Distributed Energy Resources? Just as an  
15    example, storage is one of the things that we  
16    certainly commented on. We have had a lot of  
17    experience in storage. And when we look at  
18    storage in PJM, so this is in our regulation  
19    market now. So it's a grid level ancillary  
20    service. It's helping us with reliability. We  
21    have about 270 megawatts providing fast regulation  
22    in PJM. And you can see it's kind of spread out

1 across different parts of the system. So, a chunk  
2 of it is in Distribution Voltage. Then there's a  
3 chunk of it in that layer between sub and  
4 transmission. A pretty good chunk on -- directly  
5 connected to the transmission system at about five  
6 megawatts of Demand Response. So, this is stuff  
7 that's participating in regulation. It provides,  
8 there are, we call it Regulation B. It's fast  
9 regulation. It responds essentially sub-second.  
10 But can't last. And then our Regulation A kicks  
11 in. Which is our typical hydro units. And some  
12 of our bigger steam units that kind of take over,  
13 providing some pretty base reliability services to  
14 PJM. And what we learned again, from this, is  
15 very similar to what Woody said is, is depending  
16 on what they want to participate in, you can  
17 tighten the requirements. So, if you want to  
18 participate in regulation, you want to be  
19 responding and get the same price as traditional  
20 units, I'm going to need telemetry from you.  
21 You're going to need to test once a year those  
22 kind of things too. But if you're going to be out



1       there, and only sometimes participate or take  
2       advantage. Maybe all's I need is just a little  
3       bit of data. So anyway, I just wanted to give  
4       kind of a picture of where we are with -- with  
5       PJM, and we'll turn it back over to Joe. Thanks.

6               MR. PALADINO: Well, that was very  
7       interesting. Just a quick question Mike. In this  
8       slide right here, this is for regulation markets  
9       specifically? So it's one market that you've got  
10      --

11             MR. BRYSON: Yes.

12             MR. PALADINO: -- where you're trying to  
13      employ these capabilities?

14             MR. BRYSON: Yeah. It's one market.  
15      Any resource in PJM that has been tested can  
16      participate in this. So this -- the bigger market  
17      of regulation, we carry about 700 megawatts on  
18      peak. So 270 of it is the batteries. The rest is  
19      traditional generation.

20             MR. PALADINO: Okay. And are you  
21      interfacing directly? Or are you going through  
22      aggregators, or --?

1           MR. BRYSON: For this, we're interfacing  
2 directly. That's a requirement. That's kind of a  
3 higher level requirement, because it's regulation.

4           MR. PALADINO: Okay. Thanks. Thank you  
5 for that. Appreciate that. Joseph Brannan, is  
6 Executive Vice President and CEO of the North  
7 Carolina Electric Membership Corporation. So this  
8 will be an interesting slant. Thanks. Thank you  
9 very much.

10          MR. BRANNAN: Well thank you everyone  
11 for allowing me to participate. And I know you've  
12 been sitting for a while, so I'm going to kind of  
13 walk through my comments. But what I'd like to do  
14 is kind of set up the discussion I'm going to have  
15 with you. And it's going to be a little different  
16 than what you've heard so far. Each of the  
17 individuals that have come before you, have either  
18 represented someone that's overseeing a market or  
19 someone that's regulating a market. And I would  
20 like to say that we're participants. And when you  
21 think about it, I want to give you just a quick  
22 glimpse into my past, so you'll really understand

1       why I'm focused on some of these issues. So in  
2       1993, most people remember, hopefully, what this  
3       country was embarking on. Two major things in the  
4       country, as it relates to the electric utility  
5       industry. One, we were about to enter a world  
6       where we would create ISO's. Two in particular.  
7       PJM and CAISO. Second thing is, two states in the  
8       country were going to embark on retail choice.  
9       Pennsylvania. California. So guess which state I  
10      lived in? Pennsylvania. Worked with the utility  
11      in Pennsylvania. Spent many years working with  
12      PJM when it was considered tight power pool.  
13      Learned a lot about how the system should work in  
14      an optimal dispatch. Security constraint. All  
15      the terminology you hear today. Retail choice  
16      overlaid in the market structure like that, asks  
17      for one thing. Allocation. We didn't create more  
18      generation. We didn't put generation on the  
19      system in the first year of retail choice. So you  
20      had to allocate what was there. My mind was blown  
21      in one area. We are creating more risk for the  
22      retail consumer. At that very moment, I realized

1       that as we embark on this evolution of opening up  
2       our markets, the electric utility industry,  
3       whichever way it goes, we create risk. Everything  
4       you heard today, is really how to manage that  
5       risk. Call it reliability. Call it resilience.  
6       But you have to manage that risk. Managing risk  
7       from a consumer level, takes a lot of effort. So  
8       now let me move into some of the perspectives of,  
9       where and how do you manage that risk? So when I  
10      think of the risk, and as I'm going to walk  
11      through this discussion, now put yourself in the  
12      situation that, you're the Board of an electric  
13      distribution co-op. Right? You're Not for  
14      Profit. You're democratically elected, so you had  
15      to go out and you had to solicit votes to be  
16      elected to the Board. You provide oversight to  
17      that co-op. Whether it's a GNT, or whether it's a  
18      distribution co-op. You provide oversight in how  
19      to manage in the world in which we call electric  
20      utility. If you're sitting in a boardroom and you  
21      just heard all these presentations, what would you  
22      be thinking right now? Two things. This is

1       costly. And this is risky. So keep that in  
2       perspective as I walk through this. Because I  
3       want to give you, I think Joe set it up nicely  
4       saying, I'm trying to give you a ground up. But  
5       I'm really trying to give you a perspective of,  
6       the markets will evolve. You're not going to stop  
7       them. And everything's going to move forward.  
8       But you have to manage and you have to provide  
9       affordable, reliable energy to these consumers.  
10      And you have to do it in a manner in which you are  
11      an environmental steward. So who we -- who are  
12      we? North Carolina. So the shape of the state is  
13      going to be important. You can read the  
14      statistics. I won't read the statistics to you.  
15      But you see all the green areas. That's the  
16      electric distribution service territory. So it's  
17      about [inaudible] percent of the land mass. 24  
18      percent of the population. North Carolina is a  
19      state that you would like to say is a growing  
20      state. The population continues to grow. It's  
21      moved up in the rankings. I believe it might be  
22      ninth right now on the last census. But if you

1 look in the upper right hand corner, and you'll  
2 see an area that I'll describe as a market. It's  
3 the southernmost area of PJM. So we're one of  
4 those 13 states. And ironically, see that sliver,  
5 which most people if you know your geography, you  
6 see the sliver on the right hand side? That's the  
7 outer banks of North Carolina. Go down to the  
8 very tip. I think I have a --. Right here.  
9 Thank you. That was great, whoever did that.

10 (Laughter) A little scary. But  
11 that was good. But keep that in  
12 mind. That's Ocracoke Island.  
13 It's in PJM. I think it's probably  
14 the southernmost point in PJM.  
15 Okay. Because I'm going to talk  
16 about a demonstration we're doing,  
17 to address everything that Mike  
18 talked about. So you have all this  
19 information. And when you think  
20 about a comment Woody made about,  
21 the electric co-ops are not  
22 offering retail choice. Think

1           about it from the perspective, if  
2           you the Board, are responsible for  
3           setting the rates. The --  
4           essentially the regulation of that  
5           co-op to provide this affordable,  
6           reliable electricity. You would  
7           want to do it in a way that you  
8           could manage the risk for them. To  
9           throw them to somebody that's just  
10          looking after, how many people are  
11          going to get the low hanging fruit,  
12          try to make, obviously this is  
13          America, make money? That's not  
14          protecting their interest. So, a  
15          lot of this is underlying the  
16          mission of co-ops while you would  
17          not just immediately jump into that  
18          arena. So this map is really to  
19          demonstrate to you, that to manage  
20          risk, you have to understand the  
21          problem. So in order to understand  
22          the problem, you have partake in a

1 lot of demonstrations in pilots in  
2 order to do two things. Understand  
3 if there's value. And understand  
4 what type of hedgeable instrument  
5 can I create, to manage against all  
6 the risks that's going to come down  
7 the line, from everything that's  
8 going to evolve in this market.  
9 So, this was created, and a couple  
10 of things I'll point out is, solar  
11 obviously, I know we're not the  
12 sunshine state. But we feel like  
13 it some days. There's a lot of  
14 solar that's penetrated the system  
15 in North Carolina. We've embarked  
16 on community solar. Why? Because  
17 community solar allows people that  
18 may not be interested in putting  
19 something on their roof to partake  
20 in some type of solar project. But  
21 it also gives us an opportunity to  
22 understand what that DER does to a



1 distribution system. The second  
2 thing we look at is micro grid  
3 projects. Why micro grid projects?  
4 Micro grid projects are  
5 (inaudible), I'd say, aggregation  
6 of different components that will  
7 exist on the distribution system.  
8 And if you were able to interface  
9 and hopefully, interface in a way  
10 that you can manage and control the  
11 activity, I will better understand  
12 the impact I'll have on the  
13 distribution system, and  
14 potentially, I think as Mike  
15 pointed out with the one graphic,  
16 where they can circle and area and  
17 pull it up and see what DER is  
18 available, there's only a few  
19 reasons they want to know that.  
20 One, if there's an event, they can  
21 energize or they can ask those  
22 devices to come online and help.

1                   And two, if people want to  
2                   participate in the market, you  
3                   understand where they are and what  
4                   impact they would have. What value  
5                   they would create. And in our  
6                   case, we're looking at, how can we  
7                   hedge against the risk that may be  
8                   created by these systems?

9                   And the last thing I'd point out is the  
10                  different types of solar. So, the community solar  
11                  typically 100KV, small, single feeder. And you  
12                  put it on that feeder because there's other load.  
13                  And potentially resources on that feeder. The  
14                  other is utility scale solar. It can be  
15                  interconnected at levels from 100KV down to a high  
16                  voltage distribution system, which is not optimal  
17                  obviously. Because the first thing you're going  
18                  to recognize, if you're behind a substation, and  
19                  you're on a feeder or there's multiple feeders in  
20                  that substation, you have a utility scale solar  
21                  connecting at that voltage level. That's -- the  
22                  utility scale of solar can actually generate at a

1 level greater than the load on that -- at that  
2 substation. Not an ideal situation. So this  
3 really gives you a perspective of, if you are a  
4 participant, a load, you better be doing this.  
5 You better be doing this, because it emphasizes  
6 several points that everybody's made. You need to  
7 understand what's happening. More importantly,  
8 how do I hedge the risks I will be facing? This  
9 is a perspective of North Carolina. Not just  
10 cooperative territories. But the entire state.  
11 And you can see the existing capacity and the  
12 proposed capacity. Anybody that's following  
13 activity currently in North Carolina at the North  
14 Carolina Utilities Commission, there's a filing  
15 before the Commission on avoided cost filing. And  
16 in that filing, it is more than just avoided cost.  
17 It is talking about the proliferation of solar and  
18 the system impacts to the distribution and  
19 transmission grid. Believe it or not, we do have  
20 a "Duck" Curve in North Carolina. And the "Duck"  
21 Curve is something that, from a high level, may  
22 not look as ominous. But as you go down and

1 figure out that it -- the concentration of solar  
2 in certain areas, create more operational issues,  
3 than you can manage at a higher level. One of the  
4 nice things we can do with numbers is, we can make  
5 numbers talk. And if I just say right now in  
6 North Carolina, the amount of solar, about 5800  
7 megawatts on a system, if you take all the  
8 generation across the state of North Carolina,  
9 about 38,000 megawatts. It's small. Why do you  
10 have system impacts? Look at the concentration of  
11 solar. So, we're in this experimental stage, I  
12 believe, and this proliferation of solar. And  
13 understanding the impacts and how do we respond to  
14 it. And right now, a lot of the state outside of  
15 that area that I designated as PJM, is a  
16 vertically integrated environment. And it's --  
17 the Transmission Operator is Duke Energy. And so,  
18 when you think about two very distinct areas  
19 trying to manage the same situation, it gives us  
20 as cooperatives, since we actually have load in  
21 both areas. And generation in both areas. It  
22 gives us an opportunity to really see how to

1       compare in contrast between a market environment  
2       and a vertically integrated environment.  
3       Coordination has been talked about a lot. And one  
4       of the things I'd like to share with you, is a  
5       concept that I think is extremely important. As  
6       you start to build up from the ground and through  
7       all these experiments and demonstrations, and  
8       recognizing the market, the utility industry is  
9       going to continue to evolve. These are key, as I  
10      call it, I like to call them focal points in  
11      consideration for coordination. PJM is the  
12      Regional Transmission Operator for us in North  
13      Carolina. Obviously, behind PJM is a Transmission  
14      Operator. And in PJM in the area that we are,  
15      it's Dominion Resources. One interesting fact  
16      about Dominion Resources. Obviously, most people  
17      realize that they're headquartered in Virginia.  
18      They have a small amount of load in North  
19      Carolina. Probably an average peak of about 580  
20      megawatts. Currently, on the transmission and  
21      distribution system of Dominion North Carolina,  
22      they have close to 1200 megawatts of solar. So

1 think about the distribution co-op that's  
2 interconnected to that transmission system that  
3 has more generation resources that are hard to  
4 curtail. And how that's being managed. And  
5 really, the reason all that generation is there is  
6 one reason. To visit Mike. They're trying to  
7 access PJM markets. The other is, the  
8 distribution operator, distribution system  
9 operator, however you want to look at it. I look  
10 at it as a distribution system. As we evolve,  
11 there'll be a greater dependence on that entity,  
12 providing some type of visibility and coordination  
13 with activities on the entire grid, in order to  
14 provide more capability in responding to  
15 situations, whether they be emergency or normal  
16 system operations. As well as, meeting the  
17 customers' expectations. The customer as all --  
18 we are all customers, look at things differently.  
19 And we've managed a utility industry for over 100  
20 years in this somewhat homogenous state. And  
21 we're finding out that that's not the way that  
22 people want it managed. So, the coordination and

1 activities at the distribution entity level, are  
2 going to grow. Woody made a comment about the  
3 costs that would be imposed on entities of  
4 different sizes, and their capability to manage  
5 that. That's real. Every participant is not  
6 equal. But they're all trying to access a market  
7 that's non-discriminatory. So costs are going to  
8 be something that you have to figure out how to  
9 manage them. But how to do it in a way that you  
10 can provide, hopefully, value to the end use  
11 customer. Challenges and opportunities, I think  
12 everybody's touched on a lot of these  
13 opportunities. I kind of look at it from the  
14 standpoint, whether it's at the distribution  
15 level, the transmission level or an overall market  
16 level, visibility is going to become extremely  
17 important. And the granularity of that visibility  
18 is going to be the biggest challenge. And you  
19 heard from some of the previous presenters, at  
20 what level do we want to see the information? And  
21 that's going to be a challenge. Some of the other  
22 things we talked about, obviously the voltage

1 power quality. Affected system coordination for a  
2 lot of people, you realize that if a generator  
3 connects on one system, you have to do a system  
4 impact study to determine what impact it'll have  
5 on others. We'll think about a DER system one.  
6 10 megawatt system being put on a distribution  
7 system. System impact on a larger area, probably  
8 nothing. What if you get 20 of those? How do you  
9 increment your system impact study? And who pays  
10 for the impact? Is it the last generator on? Is  
11 it something that's spread across the entire load?  
12 Those are all decisions that, more or less, become  
13 policy and then regulatory driven. Opportunities,  
14 obviously I believe that this system is going to  
15 continue to evolve. And for us to be able to  
16 serve reliably and in an affordable manner, you  
17 have to look at ways to manage on a distribution  
18 system that you're not currently involved in. And  
19 I look at micro grids. They're not new.  
20 Obviously, anybody that's been involved in this  
21 industry, micro grids have been around for many,  
22 many years. But it's really, what can be -- how



1     you can use micro grids to manage the impacts on  
2     your system? But also to provide capability  
3     upstream. One thing I want to mention about  
4     upstream, we talked about revenue stacking.  
5     Today, and I could be wrong, the way I try to look  
6     at our system is, that, when you look at the  
7     electric utility system, it's basically a closed  
8     system. When you add generation, you're going to  
9     display something. So when you talk about  
10    revenue, anything that's put on a distribution  
11    system, is trying to get the revenue stream  
12    upstream. And so the revenue stream from  
13    upstream, has to give it up in order to drive the  
14    value downstream. And I think that's where the  
15    contentious issues reside is, how do you transfer  
16    that wealth from the upstream downstream? And  
17    that's where a lot of people are focused. One of  
18    the biggest challenges we face in North Carolina  
19    and with solar, is the fact that the solar that's  
20    being put on the system, is being put on as  
21    qualifying facilities. And everybody understands  
22    the federal regulation PURPA, implemented in 1978.

1 And the perspective, at that point, of why PURPA  
2 was necessary. So North Carolina, I'll just share  
3 one perspective with you. You asked why North  
4 Carolina? Why is PURPA so important in North  
5 Carolina? Well, the federal regulation really  
6 just provided, what I call and outline, of what  
7 you needed to do. Every state and implemented  
8 some type of regulatory, in my words, overlay.  
9 And North Carolina has something that they  
10 implemented in the 1990's. From the 1990's on,  
11 here's what happened. Federal incentives for  
12 solar. That's 35 percent state tax credit for  
13 solar in a renewable energy portfolio standard.  
14 So you can build a project at a 65 percent tax  
15 deductible. Yes. Where am I going? North  
16 Carolina. State tax credit. Sunset. Federal tax  
17 credit. Everybody's aware of what's taking place  
18 there. Qualifying facility requirements are still  
19 in place in North Carolina. So, when you think  
20 about what you provided to DER in North Carolina,  
21 displacing any type of capability on a system, and  
22 you have to pay them. Who pays them? You. Okay?

1       So those are actually opportunities, right? So  
2       those are going to be opportunities, in order to  
3       look at policy and regulatory changes, in order to  
4       put a balance, a fair playing field, in place. I  
5       don't really need to show this. This pales in  
6       comparison to some of the other graphics you've  
7       seen. But, a bad solar day, what it does from a  
8       net load standpoint. I think everybody  
9       understands the impact of intermittent resources  
10      and what they can do to a distribution system.  
11      One of the other, we talked about interconnection  
12      and impacts they would have. And, obviously, an  
13      area, if you get down into the weeds, you know,  
14      protective relaying is extremely important in  
15      managing the reliability of any system, whether it  
16      be distribution or transmission. And as you go,  
17      move away from a one way power delivery system, to  
18      a potentially two way system. You really have  
19      taken into consideration what you do to your  
20      protective relaying. We talked a little bit about  
21      under voltage and what happens when solar goes  
22      onto the system, and then immediately drops off.

1 And you're looking at smarter inverters to help  
2 ride through situations like that. But, a lot of  
3 work is still to be done on protective relaying  
4 and what that will mean on a distribution system.  
5 So I mentioned micro grid and Ocracoke. So  
6 there's an active micro grid on the Island of  
7 Ocracoke. And this is a, just a schematic, to  
8 represent what that micro grid looks like. What  
9 we tried to do is build this with what would be in  
10 a home, or at a business. So we put solar. 15 --  
11 15 kilowatts of solar. And now remember where we  
12 are. We're on Ocracoke Island. We're in -- it's  
13 not called Hurricane Alley. But there's enough  
14 hurricanes that come through there, and you have  
15 to worry about when. So you're putting solar on a  
16 rooftop. And you have to think about the wind  
17 shear you will have from, you know, just not  
18 normal winds, but also hurricane winds. We also  
19 have a diesel generator that's on the island. And  
20 that's been in place for a number of years. We  
21 implemented Ecobee thermostats. You can do any  
22 thermostat, but a controllable thermostat. Why?

1       Because that's what you will have in your house.  
2       And then you will control it from your Smart  
3       phone. And you won't control it in a manner in  
4       which that we can forecast and then predict it  
5       within three percent accuracy on our load  
6       forecast. I guarantee you won't. So we put that  
7       on there. We put water heaters that are also  
8       remotely controlled. And then, the last thing we  
9       did, is put battery storage. And we said, if this  
10      resembles what could happen, how would we manage  
11      it? You know what the most important component of  
12      that entire --? I'm sorry?

13               MR. LAZAR: Who controls the water  
14      there?

15               MR. BRANNAN: Pardon?

16               MR. LAZAR: Who controls the water  
17      there?

18               MR. BRANNAN: Right now we -- we  
19      actually, the utility is controlling the water.  
20      As part of this pilot, we asked the consumers, the  
21      members, if we can control it to demonstrate.  
22      And, so they were willing. It's a tremendous

1 environment on Ocracoke Island. Especially the  
2 people that have lived there their whole lives.  
3 They're willing to work with you. It's a nice  
4 environment. But you ask yourself, what's the  
5 most important component of this micro grid  
6 experiment? Anybody want to take a guess? It's  
7 the micro grid controller. That is the major  
8 interface to everything that's happening. And  
9 that micro grid controller has to have the  
10 capability, not only to receive information, but  
11 eventually, and this is the idea of a  
12 demonstration, is to work through all the  
13 different types of control algorithms that you can  
14 implement, to determine how it can respond to  
15 different situations, but not create an upstream  
16 impact. And eventually, if Mike's willing, we'd  
17 like to then interface with them to see what they  
18 can see, down at Ocracoke Island. But, we're very  
19 early Mike, so I won't call you yet. But these  
20 are the types of demonstrations that everybody has  
21 mentioned. It's important to embark on these type  
22 of demonstrations, really to understand the

1        impact. But also, what are the key components  
2        that we have to focus on? And I share that with  
3        you, and we're still in the early stages. And I  
4        hope, at some point, to be able to provide this  
5        information. We're working with different  
6        research and development organizations. Within  
7        the cooperative industry, we have our research  
8        organization that we're working with. We're  
9        working with EPRI on this, as well as working with  
10       your common manufacturers of different components.  
11       This was just a performance in February.  
12       Obviously it does get cold in North Carolina. And  
13       it's usually January and February. This year  
14       we've had a little bit warmer period in January  
15       and February. But, what this did, is its typical  
16       load curve. You demonstrated you can operate.  
17       There's nothing exciting here, right? The point I  
18       want to really focus on is, the ability to do this  
19       with thermostats and battery, was very important.  
20       Because, we simulate in our minds, an event.  
21       That's the peak load, right? That's your  
22       simulation. And you say, I can turn that. I can

1 discharge the battery. But what will the consumer  
2 do? And we sent out a signal to all their  
3 thermostats, and they went into a control period.  
4 And you can see we're in a couple hour control  
5 period. They cannot doubt. So now you're into  
6 behavioral science. Will they opt-out or not?  
7 And we have all the statistics on how many people  
8 opted-out. How many people stayed in? And you  
9 send them nice messages when you're in for half an  
10 hour to say, hey, we're only a half an hour before  
11 we end. Please stay in. This was truly very  
12 informative, because the consumer was involved.  
13 And so these are things that we continue to do to  
14 understand what type of information is necessary,  
15 in order to provide a very, very accurate, but  
16 very constructive distribution to Transmission  
17 Operator interface. So with that, I do appreciate  
18 participating and look forward to your questions.  
19 Thank you.

20 CHAIR TIERNEY: Joe, we've got 10  
21 minutes.

22 MR. PALADINO: Okay.



1                   CHAIR TIERNEY: Which is both terrible,  
2                   because you guys have had such a great, great  
3                   panel. But, it is what it is. So, I'm sorry  
4                   about that.

5                   MR. PALADINO: So, let's just open it up  
6                   to questions, because there's probably a ton of  
7                   questions. So, let's start here then.

8                   MR. MORRIS: Thank you. I'm going to  
9                   aim my question at Lorenzo and Arnie together,  
10                  being from the west and the WEC. I honestly think  
11                  that's what frustrating about this conversation,  
12                  is that, you know, in order to try to get more  
13                  granularity on the distribution issues, we seem to  
14                  be always looking through the wrong end of the  
15                  microscope to answer those questions. And, I'm  
16                  just wondering, you know, to me there's an  
17                  inversion point, where if you want to check off a  
18                  lot of good state policy boxes, less carbon  
19                  footprint. More efficiency. More resiliency.  
20                  You know, you would design these systems from the  
21                  ground up, and not continually look at them from  
22                  the top down. And my question is, is that, and

1       either, you know, I see a lot of -- in California,  
2       Lorenzo, I see a lot of DER planning going on in a  
3       construct, that kind of works with, essentially,  
4       operated grid. But for the utilities outside of  
5       California that don't have that DER process going  
6       on, you know, in a sense, they're shipping  
7       resources to California in order to treat the --  
8       to treat the symptoms of the "Duck" graph, without  
9       understanding the granularity of their own  
10      networks. I guess my question for both of you, is  
11      that, I think part of the policy concern, is that,  
12      you know, we're taking rate payer value from the  
13      distribution system underneath that construct. If  
14      you're going to propagate it up to the HV side of  
15      the system, you're taking rate payer value, and  
16      shipping it to the high voltage side, without  
17      seeing that value being realized in lower rates  
18      for customers on the distribution side. So, it  
19      seems to me there's a paradigm that we can't quite  
20      break out of here. We can't let deferred cap  
21      backs actually be realized within distribution  
22      rates, to actually allow unbundling of

1       socialization and rates to let, you know,  
2       symbiotic relationships behind the meter, be  
3       offered as services, and not have to propagate it  
4       up to support the commodity high voltage system we  
5       have today.

6               MR. QUINN: I'll take the first shot.  
7       And the -- when you say propagation of the  
8       distribution system, one of the things that we  
9       heard from some of the aggregators, was that,  
10      their service is largely right now to the end use  
11      customer. So, the value proposition for them, is  
12      helping an end use customer manage retail bills.  
13      A lot of its demand charge management. But, for  
14      them, the opportunity to participate in the  
15      wholesale market, was the place where they could  
16      make that investment for the end use customer, a  
17      more attractive opportunity. So, you know, what  
18      we heard was, ability to participate in the  
19      wholesale markets, was going to enable that  
20      product down at the end use customer. And, without  
21      the opportunity, that might become cost  
22      prohibitive. Or just -- there was a set of end

1 use customers that weren't going to take  
2 advantage, because this -- the cost structure  
3 didn't work. So, to some extent, I felt like the  
4 opportunity at the wholesale level. Whether they  
5 can take advantage of it. Whether it actually  
6 materializes is another thing. But, making that  
7 opportunity available, did enable some value  
8 creation on the distribution system. Maybe not  
9 the deferment of distribution equipment, or things  
10 like that. But at the customer side, we  
11 definitely heard that -- that what we were doing  
12 was a value creation downstream, enabled through  
13 revenue on the upstream.

14 MR. KRISTOV: What I would add to that  
15 is, that there's a whole bottom up movement  
16 happening in California that I really didn't talk  
17 about, which has to do with what's called  
18 Community Choice Aggregation. And, the idea there  
19 being that cities and counties, local governments,  
20 can become the retail electric provider for  
21 everybody in their territory. Many areas in  
22 California are doing that, not simply to compete

1 on price, or even on renewable energy content.  
2 All of that's part of it. But really, to develop  
3 local resources. And, part of the equation -- a  
4 cost benefit equation, is that there are benefits  
5 to DER that aren't valued yet. So, I think, and  
6 -- and storage as well. Resilience is talked  
7 about a lot. But, it doesn't have a well-defined  
8 value when you try to plug in a cost benefit  
9 calculation. My expectation is, in the next five  
10 or ten years, that's going to get a lot bigger.  
11 Same thing with the idea of smoothing load  
12 profiles at the local level. At the circuit  
13 level. Or the local area level. And smoothing  
14 fluctuations. There isn't really a service that  
15 you get paid for yet for doing that. The idea  
16 that, more DER gradually reduced the need to build  
17 transmission, because you're serving more of the  
18 load locally. Well, we haven't got a good way to  
19 account for that yet either. So, I kind of bundle  
20 a lot of those things together, in terms of  
21 thinking of energy or electricity as a commodity.  
22 That to me is so 20th century. You know, the

1       really new way to think about it is, well, why do  
2       we need energy? What's the best way to get it?  
3       Let's provide it locally. And to the extent that  
4       we're now withdrawing from reliance on that huge  
5       central mega system. Then we get some credit for  
6       that, and we're satisfying local objectives with  
7       regard to resilience, that we might not be able to  
8       meet in other ways. So, it's really the whole  
9       cost benefit calculation as part of the turmoil  
10      that needs to get re-thunk.

11               MR. PALADINO: Yeah. We should just  
12      continue with the questions. Laney, would you  
13      like to ask a question?

14               MS. BROWN: Yeah. That may be building  
15      off of that as the -- in that value set, the  
16      distribution, you know, the value of D matures.  
17      How do you think that's going to change? You  
18      know, some of the approaches that you're looking  
19      at around the interfaces. And the overall view  
20      from, you know, a lot of it's been provided from  
21      the, you know, from the market side. But, how do  
22      you think that's going to change that interaction?

1                   MR. KRISTOV: As what matures? I'm  
2       sorry, I missed that.

3                   MS. BROWN: You know, you look at the  
4       value stack - -

5                   MR. KRISTOV: Oh yeah.

6                   MS. BROWN: -- and services at the  
7       distribution level. So, the LMP plus D.

8                   MR. KRISTOV: Mm-hmm.

9                   MS. BROWN: How might that change? You  
10      know, some of the approaches that you -- you're  
11      looking at now.

12                  MR. KRISTOV: Well, personally I don't  
13      subscribe to the LMP plus D idea. I tend to think  
14      that, when you get into a local area and you're  
15      starting to meet your energy needs locally, then  
16      LMP is just the price of imports and exports. And  
17      that may be a small percentage of the total  
18      economics of energy supply in the local area. So,  
19      yes, location on the distribution system matters.  
20      But to sort of take, you know, the LMP as your  
21      reference point, and price everything off of that,  
22      to me is -- is too much of a central station

1       centric view of the system. I think we need to  
2       rethink the view based on, why do we need energy?  
3       Why is it needed here? What are the uses it's  
4       being put to? And what are the different ways we  
5       can meet those needs?

6               MR. PALADINO: Mm-hmm. Carl. Or Paul.  
7       Go ahead.

8               MR. CENTOLELLA: Sure. It strikes me  
9       that some of what we heard talked about today, and  
10      some of the additional problems that might be  
11      created by what we do in the future, are in fact,  
12      an artifact of a market that we created at the ISO  
13      level when DER wasn't a significant player. And,  
14      you know, and so, you know, Mike talked about, you  
15      know, incenting DER performance where it matters.  
16      And he's in a system where, I know there are zones  
17      in PJM that on a peak day, you can see within a  
18      zone load differentials of \$800 a megawatt hour,  
19      in some instances. And those are hourly averages  
20      at the interval, we would assume that's even  
21      larger. We heard Woody talk about, you know, the  
22      impact of constraints within a zone. And how



1 prices move things in ways that aren't necessarily  
2 rational to solve that. And we're seeing in the  
3 NOPR, you know, this view of aggregation, that  
4 isn't actually geared to the locational value,  
5 even at ISO level, the different resources can  
6 provide. So I guess my question is, what would it  
7 take to really move away from zonal pricing at the  
8 load side of the market, to where we could  
9 actually begin to more naturally reflect the value  
10 of DER, when and where it operates?

11 MR. PALADINO: My goodness. (Laughter)

12 CHAIR TIERNEY: And across you, you have  
13 two and a half minutes.

14 MR. BRYSON: And I was going to start  
15 with, could you repeat the question? (Laughter)  
16 No, actually, I think that's a -- I think it's a  
17 good point. And a lot of that has to do with, in  
18 my mind, the level of data that you're getting.  
19 It's really based on that. And when you look at,  
20 you know, some of the products that we have. And  
21 this is why pilots are important to us, is because  
22 years ago, someone came to me in our Advanced

1       Solutions group and said, hey, we want to -- we  
2       want to do a pilot with the battery as regulation.  
3       I chased them out. I'm like, get out of here.  
4       What are you talking about? We're not doing it.  
5       We're never going to do storage as regulation.  
6       But we have almost 300 megawatts on the system  
7       now. Because, we decided, you know what, let's  
8       see what we can do with that. I think it's the  
9       same thing with that is, let's figure out, you  
10      know, let's go down to the Island, only because of  
11      the pilot, not because of the nice weather.

12                   (Laughter) And see if we can -- if  
13                   we can figure out, is there  
14                   something there that would say,  
15                   there's enough data that we're  
16                   going to get from there. We may be  
17                   able to do nodal pricing at -- for  
18                   some of these distributed  
19                   resources, so.

20                   MR. KRISTOV: I would add one thing to  
21      that. In a certain sense, getting away from  
22      commodity thinking, means rethinking how do we

1 charge for transmission and distribution service?  
2 And the whole idea of recovering fixed assets  
3 based on a volumetric charger. Even a demand  
4 charge is not really quite right. I think once we  
5 start adding a lot of DER and variable resources,  
6 we ought to be charging at each point of  
7 interconnection, based on their impact on the  
8 system. Because it's that impact that creates the  
9 cost of operating a reliable system. So if we  
10 start pricing things for distribution service or  
11 transmission service, based on the impact that  
12 they have either creating volatility, or removing  
13 volatility, or creating an extreme load profile,  
14 or mitigating it. Then that changes the whole  
15 pricing dynamics. And the location will matter,  
16 because where you're located, is going to create  
17 an impact on the system that has to be managed.

18 MR. BRANNAN: Yeah. If I can add, and I  
19 think I'll just pick up on what Lorenzo said. So  
20 think about it from the standpoint of that person  
21 out of that group, in that local area. You know,  
22 on Ocracoke Island, they don't have access to low

1 cost nuclear energy. So, one of the things,  
2 you're taking advantage of a larger market, to  
3 create value at a level that they could not  
4 receive that value. And, so as we've created this  
5 market, we've tried to figure out, how do we  
6 represent that in nodal markets? But, I think as  
7 DER grows, and Lorenzo really struck the chord.  
8 As DER grows, what we're going to go through, is a  
9 process where we can't disconnect from the central  
10 generation concept. So, we're creating market  
11 products to hedge against the risk as we go  
12 through. So, the volatility that's created can be  
13 hedged. And eventually, if the future holds that  
14 we disconnect from central generation, then you  
15 will live with the local resources you have. And  
16 it may be priced at a much different level than  
17 your neighbor. And I think the experiment, maybe  
18 not experiment, but what's happening in California  
19 with the community aggregation, I think is a great  
20 example. People want something different. And,  
21 we can't disconnect from the central generation.  
22 So you need this transition period where you need

1 products. I'd do them. Products to hedge against  
2 the volatility either you create, or someone else  
3 creates for you. And I think it's an -- it's more  
4 of a transition than it is a disconnect to that --  
5 or a step change.

6 MR. PALADINO: So, how are we doing?  
7 There are couple more. There are three more  
8 questions here. What would you like to do? Can  
9 we --?

10 CHAIR TIERNEY: Well, if -- if anybody  
11 needs to go because of commitments, please feel  
12 free to do that. But, let's just go for a couple  
13 of more minutes if you can. If your planes will  
14 allow it and things. Will they?

15 MR. PALADINO: Thank you Susan.

16 CHAIR TIERNEY: You okay? Okay.

17 MR. PALADINO: Thank you very much.

18 Merwin, would you like to ask a question?

19 MR. BROWN: Thank you. Merwin Brown, UC  
20 Berkeley. A number -- my question is going to be  
21 around a sense of urgency about when these  
22 problems, and so to speak, need to be solved.

1 MR. PALADINO: Yeah.

2 MR. BROWN: Because you've raised a  
3 number of issues.

4 MR. PALADINO: Basic change.

5 MR. BROWN: And when you ask the -- and  
6 when you answer the question, if you can, there's  
7 another thing that you raised on the panel, at  
8 least to different degrees, is that, why you may  
9 look at this as a homogenous problem in a given  
10 area, it actually is -- the problems are beginning  
11 to show up sooner rather than later in  
12 heterogeneous type situations. And so, keep that  
13 in mind when they think of urgency. In other  
14 words, how much time does DOE have, for example,  
15 to help us, all of us in the community, solve this  
16 problem? Are we talking 10-15 years? 2 years?  
17 Any -- any help you can give on that, to know how  
18 much to push this.

19 MR. BRYSON: I'll start out. So, my  
20 thought about sense of urgency, and again, given  
21 the 15 jurisdictions, is from a reliability  
22 perspective, if every one of the state utilities

1       said, stay out of it, I would say, we'll just  
2       stick with the visibility. That's the most urgent  
3       thing. And we've been working on that problem for  
4       a couple of years. That's an urgent problem. All  
5       the rest of it is something that again, where it's  
6       appropriate, we'll work with it. And we'll run as  
7       fast as our utilities and states want to run. And  
8       there's different -- there's just different  
9       demographics across our system. But, the  
10      visibility one, is the one in my mind, that's  
11      urgent.

12               MR. RICKERSON: And I would agree with  
13      Mike that we need to solve the visibility part in  
14      the next three years that are not --. And that's  
15      kind of the goal we have internally is, we need  
16      visibility. We need to know what's out there.  
17      We'll have time to talk about thresholds and  
18      market triggers and things like that. But, we  
19      need to know what's there. And that visibility  
20      will also aid us in planning studies. Which is a  
21      -- is something people don't think about.

22               MR. PALADINO: Right.

1                   MR. KRISTOV: I would add that the --  
2     the urgency will begin when we have the next  
3     Hurricane Sandy. Or the next major cyber-attack.  
4     Or the next major disaster that wipes out a whole  
5     lot of the energy system. And people start  
6     realizing that, you know, building local systems  
7     that can -- that can Island, that can function as  
8     micro grids, is a good investment. Even though I  
9     can't quite calculate the five year return on  
10    equity. It's going to become very valuable,  
11    because it will enable communities to sustain  
12    things like pumping water and pumping sewage. And  
13    the various things that are essential for basic  
14    quality of life kinds of conditions. So, I think  
15    it may take certain natural disasters to make it  
16    more urgent. But I would say, start now.

17                  MR. QUINN: It's the only thing I'll add  
18    is, on the market opportunity side, I feel like  
19    there is a sense of urgency there, simply because,  
20    if you don't create the opportunity to extract a  
21    value stream, you potentially limit the ability of  
22    things to come to market, you know, on a timely



1       basis. And, the other thing I'll note is, I think  
2       our experience, like on wind integration was,  
3       early on, there was a sense of, this is all going  
4       too fast. We need to slow this down. As yet, the  
5       markets are incredibly resilient to accepting  
6       incremental changes over time. And identifying  
7       opportunities to make advancements. And so, that  
8       shouldn't be the reason -- we shouldn't wait to  
9       figure all of that out, before we create that  
10      market opportunity.

11               MR. BRANNAN: The last thing I'd add and  
12      I just -- I think -- I absolutely agree with  
13      what's been said. But if I look and think about  
14      the sense of urgency, one of the areas that I  
15      think it's extremely important to focus, is on  
16      policy. I mentioned to you what's happening in  
17      North Carolina. Five years ago, nobody was  
18      concerned. And because of the -- the confluence  
19      of events that were created through policy and  
20      regulation, you create -- they created this issue.  
21      So, from an operational standpoint, there's the  
22      need for visibility, but if we don't get the

1 policy right, and we're going to have this extreme  
2 sense of urgency, just from system reliability and  
3 resilience. And I'm very concerned that if we get  
4 in that mode, the amount of money that's going to  
5 be spent on these systems, we won't get a return  
6 on.

7 MR. PALADINO: Janice.

8 MS. LIN: Thanks. Fascinating panel. I  
9 had a super quick question for, I think Mike. And  
10 then I have another question for Joe. So my super  
11 quick question is, the five megawatts of behind  
12 the meter battery storage in PJM, are those direct  
13 dispatch? Or are they operated as DR?

14 MR. BRYSON: So, that was the last slide  
15 that I showed?

16 MS. LIN: Mm-hmm.

17 MR. BRYSON: It had the five megawatts  
18 of the Demand Response. So, because it's in the  
19 regulation market, it's direct dispatch.

20 MS. LIN: Oh okay.

21 MR. BRYSON: Any storage that's in the  
22 regulation market, has to be direct. And it has

1 to be tested and so. Yeah.

2 MS. LIN: Okay. Thank you. And then  
3 so, my other question was, I'm fascinated by this  
4 micro grid on the Island. I don't know how to  
5 pronounce it.

6 MR. BRYSON: Uh-huh. Right.

7 MR. BRANNAN: Ocracoke.

8 MR. BRYSON: Ocracoke.

9 MS. LIN: Yeah. I mean, and I --.

10 CHAIR TIERNEY: We can have our meeting  
11 there next time.

12 MR. BRYSON: Exactly.

13 MS. LIN: Yeah.

14 MR. BRYSON: In the summer.

15 MS. LIN: Take me away. Ocracoke.

16 Well, it's -- and it's, like I heard from all of  
17 you that a great solution is micro grids, where  
18 you can integrate at one gateway. I was curious  
19 if that micro grid controller was off the shelf?  
20 Was it expensive? And, could the micro grid  
21 controller be a pathway to resolving some of these  
22 issues? And potentially addressing some of the

1 cyber-security issues that were raised in our last  
2 panel, with The Internet of Things? And, oh my  
3 gosh, you know, the sky is falling. And part of  
4 my reason for asking is, I'm in the process of  
5 getting a house in the mountains with a lot of  
6 trees. And it's like, that's what I need. But I  
7 haven't been able to find -- that solution doesn't  
8 exist. At least, I haven't been able to -- now  
9 not at the residential level. Maybe if I was  
10 Apple Computer and had a campus, I could buy one.  
11 It's really expensive. (Laughter) But like, small  
12 consumers and, you know, I've got solar. I've got  
13 an EV. I've got an onsite generator. And none of  
14 them are integrated. It's kind of a disaster.  
15 So, I welcome your thoughts.

16 MR. BRANNAN: So, there's no quick  
17 answer, unfortunately. The micro grid controller  
18 was -- it's not truly off the shelf. But when you  
19 think about what it is, it's really an interface  
20 point, which you can actually run control  
21 algorithms. You can use a PC with an interface  
22 system to create something like that. One of the

1 things that drove us to consider this, as not the  
2 solution to all the things we're talking about,  
3 but as a stepping stone towards this ultimate  
4 evolution of where we're going, that it's just one  
5 piece. But, most folks are familiar with the  
6 company Solar City. On the Island of Hawaii,  
7 Solar City introduced the micro grid controller in  
8 the home. When I recognized that, if you can do  
9 that, and I'm not advocating it's good or bad, but  
10 when you can do that at a consumer level, you've  
11 created an operational point at such a granular  
12 level on our system, what do you want to do with  
13 it? And so, what we tried to do was back away  
14 from it, and look at it from a system. And we're  
15 actually in the process of working with an  
16 agricultural -- it's a poultry farm. And working  
17 at it, looking at it from a consumer standpoint.  
18 And doing a micro grid on their system, where they  
19 already have solar, swine, waste, the fuel,  
20 believe it or not, to electricity. And we're  
21 putting battery and looking at the ability to  
22 isolate feeders. And supply from a local area.

1     And I think as Lorenzo said, how do you propose  
2     that to a consumer? I can't come to you with a  
3     value proposition. The reason we're able to do  
4     this, is this is one of the greatest advocates of  
5     cooperatives. This individual. And he said, I  
6     want to try it because I believe in -- I believe  
7     in the idea of renewables. He didn't ask for  
8     money. So, I think the idea here is not that this  
9     micro grid controller's the solution. But it's  
10    going to provide us greater insights into the  
11    things that these gentlemen will need. And create  
12    a greater and more robust T and D interface,  
13    because I truly believe, most of this country's  
14    not going to disconnect from the central  
15    generation model in the next 15, 20 or even 50  
16    years. Some people may want to. But, I think  
17    what we have to be prepared for is these hybrid  
18    models that exist. And how do we manage them.  
19    And that's where this experimentation in R and D  
20    is so critical. So, unfortunately, I didn't give  
21    you a quick answer. And I didn't give you a  
22    vendor you can go and call for your micro grid

1 controller. But I do think that one of the other  
2 things to keep in mind, a micro grid controller is  
3 not a device necessarily. You -- if you go out  
4 today and look at Apple, in Apple's home kit, you  
5 can take all the devices in your home that are  
6 enabled, Wii Fi enabled, through Apple TV, and you  
7 can run a micro grid system in your home. Google  
8 offers the same thing. So does Amazon. So, now  
9 I've just taken my micro grid controller and  
10 devalued it. Because these commercial product  
11 oriented companies, have created it. And the  
12 cyber-security question you raised, my one very  
13 big concern is, that these gentlemen here, they  
14 will do a tremendous job on cyber-security when it  
15 comes to grid managed system. The most vulnerable  
16 aspect of cyber- security is, if you went to one  
17 of those products I mentioned. What level of  
18 cyber-security posturing do they have on those  
19 devices? And what happens when they go into your  
20 home and mess up what's going on? That's the  
21 level of cyber-security I'm more concerned about,  
22 because these gentlemen, they'll take care of it.

1       They have a focus on what can be done. And will  
2       put enough protection and posturing in recovering,  
3       to create the resilience. I'm concerned about the  
4       consumer.

5               MR. PALADINO: Right.

6               MR. BRANNAN: So. Hopefully I did --.

7               MR. PALADINO: One --. Oh. One more  
8       question here.

9               CHAIR TIERNEY: One more.

10              MR. PALADINO: Gordon.

11              MR. FELLER: Gordon Feller with CISCO.  
12       I've looked at a lot of micro grid projects, and  
13       I'm familiar with all the manufacturers and I'm  
14       convinced that we are going to need to spend more  
15       time as a group, looking at micro grids. At the  
16       integration issues. At the regulatory  
17       opportunities for transformation at the local  
18       level. I'll ask the question without expecting a  
19       response, because I know people are busy. If you  
20       had to suggest to us a focus around micro grids,  
21       you've suggested some just a moment ago Joe. But,  
22       there are things that each of you alluded to in



1     your presentation, which raised questions in my  
2     mind about how micro grids can be valuable as an  
3     engine for change, around some of the areas that  
4     you were concerned about in the interface. Since  
5     it is so close to the interface, the micro grid  
6     potentially represents a place where all of us can  
7     learn a lot about issues that were now just  
8     starting to sense need to be addressed. And if  
9     any of you have, you know, anything that you'd  
10    want to throw into that mix, I think we're all  
11    probably thinking about what can we as a  
12    Committee, and with our Subcommittees, and maybe  
13    in a field trip to look at a micro grid, what  
14    would you want us to really focus on, to get to  
15    the Island?

16               MR. BRYSON: Exactly.

17               CHAIR TIERNEY: And we really would  
18    welcome an --

19               MR. GELLER: Yeah.

20               CHAIR TIERNEY: -- email or anything  
21    with suggestions like that. Yeah.

22               MR. BRYSON: Yeah. And just, but real

1       quick, I'd say -- I'm going to say pilots. Even  
2       if they're table top pilots, don't go spend a lot  
3       of money, you know, do a pilot first. You know,  
4       all of the ISO's, I think, would engage in pilots  
5       and a lot of the -- a lot of the utilities as  
6       well. So.

7               MR. KRISTOV: I guess one thing I would  
8       add, just real quickly, is that in almost all of  
9       the industry conversations I engaged in, the cast  
10      of characters is at the top level. The policy  
11      makers. The utilities. The big companies and so  
12      on. And then it goes down to the individual  
13      customer. What's not recognized, is the community  
14      as a decision maker. And the Community Choice  
15      Aggregation in California, a lot of the drive for  
16      community level solar resources, the Ocracoke  
17      example I think, and the notion of resilience, is  
18      a local community phenomenon. So, it's not just  
19      all about the individual consumer. How can we  
20      then create the ability of a community with very  
21      -- with very diverse income levels, or wealth  
22      capabilities or whatever, to be able to implement

1 a reliable, resilient local power system through  
2 resources that are available, and put that into  
3 operations so that it all works? Something that's  
4 replicable in that manner.

5 MR. BRYSON: Right.

6 MR. PALADINO: And so to -- thank you.  
7 And so, to close, I want to thank the panelists.  
8 They did a lot of work to come here. They  
9 travelled far. It was very, very insightful. I  
10 believe that the Committee is going to continue to  
11 explore this topic. And I think we would really  
12 like to reach back to you, and gather more  
13 insights and see if we can learn. See if we've  
14 learned everything that you've conveyed. And the,  
15 again, thank you very much. And appreciate the  
16 time. (Applause)

17 CHAIR TIERNEY: And thank you Joe. That  
18 was great. A wonderful panel gentlemen. That was  
19 great. Thank you. We will see you all at 8:00  
20 a.m., bright and early tomorrow. Except those  
21 going to dinner, we'll see each other then.

22 (Whereupon, the PROCEEDINGS were

1 adjourned.)

2 \* \* \* \* \*

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

## 1 CERTIFICATE OF NOTARY PUBLIC

## 2 COMMONWEALTH OF VIRGINIA

3 I, Carleton J. Anderson, III, notary  
4 public in and for the Commonwealth of Virginia, do  
5 hereby certify that the forgoing PROCEEDING was  
6 duly recorded and thereafter reduced to print under  
7 my direction; that the witnesses were sworn to tell  
8 the truth under penalty of perjury; that said  
9 transcript is a true record of the testimony given  
10 by witnesses; that I am neither counsel for,  
11 related to, nor employed by any of the parties to  
12 the action in which this proceeding was called;  
13 and, furthermore, that I am not a relative or  
14 employee of any attorney or counsel employed by the  
15 parties hereto, nor financially or otherwise  
16 interested in the outcome of this action.

17

18 (Signature and Seal on File)

19 Notary Public, in and for the Commonwealth of  
20 Virginia

21 My Commission Expires: November 30, 2020

22 Notary Public Number 351998

